

77



COUNTY OF SENECA  
STATE OF NEW YORK

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

-----  
TECHNICAL REVIEW COMMITTEE MEETING  
-----

HELD AT: Seneca Army Depot  
Romulus, New York

HELD ON: May 18th, 1994

REPORTED BY: PATRICIA A. NELK



1 MR. ABSOLOM: Okay. If we can get  
2 started, I am going to kick this thing off  
3 as close to twelve thirty as I can today.  
4 For those who don't know, I am Steve Absolom.  
5 I am chief of public works here at Seneca  
6 Army Depot. The commander of the Army Depot,  
7 Colonel Johnson, is away in training this  
8 week. He's unable to attend and be here.

9 A few opening things I want or opening  
10 remarks is, first off, I would like to make  
11 sure that everybody understands that we will  
12 answer all questions but I would like them  
13 one at a time so we can answer them one at a  
14 time. This is so that we can properly record  
15 the question and the answer. So please be  
16 patient if we say, "time out, one question,  
17 please." That is the purpose for it. We  
18 passed out an agenda for today. We are going  
19 to make one slight change on that. Because  
20 of the way we are going to present it Mr.  
21 Healy is not going to give a presentation.  
22 Engineering Science will give the overall  
23 presentation. So that will be the one change  
24 we will have in the agenda.

25 I do see a few new faces. What I would

1 like to do is go around the table and have  
2 everybody introduce themselves so everybody  
3 knows who is here at the front and then we  
4 will get right into investigations and where  
5 we stand.

6 MR. HEALY: Kevin Healy from the  
7 Huntsville Division Army Corps of Engineers.  
8 I am the lead engineer for the work being  
9 done at the Seneca Army Depot.

10 MR. DUCHESNEAU: Mike Duchesneau,  
11 Engineering Science in Boston. I am the  
12 project manager.

13 MR. SUEVER: I am Rick Suever. I work  
14 for Huntsville Division Corps of Engineers.  
15 I am the project manager for the work at  
16 Seneca.

17 MR. CHAPLICK: Jim Chaplick from  
18 Engineering Science. I am the department  
19 manager.

20 MR. ABSOLOM: As I said before, I am  
21 Steve Absolom. I am chief of public works  
22 here at Seneca.

23 MR. HODDINOTT: Keith Hoddinott, risk  
24 assessor for the Surgeon General.

25 MR. BATTAGLIA: I am Randy Battaglia. I

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

am the project manager at Seneca.

CPT. RAIMONDO: I am Captain Raimondo, the command judge advocate here at the Seneca Army Depot.

MR. GERAGHTY: Dan Geraghty, New York State Department of Health.

MR. ENROTH: Tom Enroth, project manager.

MR. NELSON: Bruce Nelson with Malcolm Pirne providing technical assistance to the EPA.

MS. STRUBLE: Carla Struble, project manager for USEPA.

MS. RAFFERTY: Lani Rafferty, State Health Department.

MR. GUPTA: Kamal Gupta, project manager for New York State Department of Environmental Conservation Division.

MR. MEHTA: Manmohan Mehta, New York State Department of Environmental Conservation. I am out of Region 8 in Avon

MR. SCOTT: Robert Scott, DEC permit administrator, Avon, New York.

MR. COOL: Bill Cool, Seneca County Soil and Water Conservation and councilman for the

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Town of Varick.

MR. DURST: Dick Durst. Cornell University. I work at the experimental station. I am a resident of the Town of Varick.

MR. DOMBROWSKI: Brian Dombrowski. I am the director of the Seneca County Health Department.

MR. ABSOLOM: I would like the people in the back to introduce themselves.

MS. MCDONALD: Molly McDonald. I am a student intern at the New York State DEC for today.

MS. VERA: Linda Vera. I am also out of the DEC office in Avon as a citizen participation specialist.

MS. FALLO: Janet Fallo. I work here at the Depot in environmental.

MR. HUNTER (phonetic): My name is Bob Hunter, environmental protection specialist.

MR. CROOK: My name is Steve Crook, Law Environmental.

MR. QUINN: My name is Mike Quinn. I am from Law Environmental Remediation Engineering.

1 MR. LAFFIN: Alan Laffin, Lozier Labs  
2 out of Rochester.

3 MR. BURNS: Chuck Burns, Lozier  
4 Engineers, Rochester, New York.

5 MR. ABSOLOM: Very good. Welcome,  
6 everybody. With that we are going to get  
7 started right in with some briefings from  
8 Mike.

9 MR. DUCHESNEAU: Sure. I would like to  
10 welcome you all here to the presentation. We  
11 will begin with an overview of the  
12 organizational project. Many of you have  
13 seen this before. On the top here is Rick  
14 Suever. You have already met Rick. He's the  
15 project manager. And technical manager for  
16 this project for the Corps of Engineers,  
17 Huntsville is Kevin Healy. I am the  
18 engineering science project manager. And  
19 Kamal, who you have met, represents the State  
20 of New York. Carla represents EPA Region  
21 Two. And Randy represents the Seneca Army  
22 Depot. We have been working together here  
23 for almost three years. Now we are fairly  
24 comfortable with each other. I think that is  
25 a very positive aspect of the project that we

1 have been involved in.

2 Just to give you an overview of the  
3 items that we will be discussing -- that I  
4 will be discussing with you. These are the  
5 seven active delivery orders that we  
6 currently have with the Corps of Engineers in  
7 Huntsville. And I will be discussing each  
8 one of these projects individually. They  
9 have all the SWMU classification reports, the  
10 high priority AOC's, the moderate priority,  
11 the moderately low and the two RI/FS as well  
12 as the action memorandum.

13 I think it is important that we briefly  
14 discuss the SWMU classification flow chart.  
15 This was -- I know it is hard to see but you  
16 should have a copy in your handout here. And  
17 this was derived from the Interagency  
18 Agreement, otherwise known as the IAG. It is  
19 an overview of the process that is outlined  
20 in that document as to how to identify a  
21 SWMU, investigate it and perform ultimate  
22 remediation. It essentially involves three  
23 phases. The first phase is the SWMU  
24 classification phase. We are currently very  
25 active in this phase. The second phase once



1 the SWMU has been identified as an AOC, area  
2 of concern, or no action SWMU -- let me step  
3 back a second. Once it is listed as an AOC  
4 it enters the site investigation phase. For  
5 a no action SWMU, there would be no further  
6 action and it will be deleted from any  
7 further action investigation. The site  
8 investigation phase involves potentially site  
9 investigation. But also possibly if there is  
10 enough information to assure that a threat  
11 doesn't exist or it could possibly. We just  
12 make a completion report and that will be the  
13 end of it. However, if there is sufficient  
14 information and a removal action can be  
15 performed, that is done at the Army's  
16 discretion. To perform a removal action, say  
17 for a localized area, we have to eliminate  
18 the threat and prepare the completion report  
19 and that will be done with it.

20 Some SWMU's are AOC's that have a  
21 sufficient threat and additional work is  
22 required or additional large scale  
23 remediation would be required. That would  
24 enter the RI/FS phase. What this is intended  
25 to do, this whole process, is to blend the

1 obligations of RCRA with CERCLA. The Seneca  
2 Army Depot is on the NPL, National Priority  
3 List. That means that there are CERCLA  
4 obligations but there is also RCRA. RCRA is  
5 considered an ARAR in this scheme of  
6 investigation. So we have some obligation to  
7 RCRA. The nomenclature of a SWMU is strictly  
8 a RCRA term. When we get into site  
9 investigation or RI/FS, they are CERCLA  
10 terms. I think what we are showing here is  
11 the process outlined in the IAG and it is a  
12 blending of both of those particular  
13 regulations.

14 Just to briefly highlight the  
15 classification of the SWMU's that we have  
16 identified to date. Again this is in your  
17 handout. What we show there are 72 SWMU's.  
18 And SWMU's are consolidated waste management  
19 units that have been identified at the Depot.  
20 I will show you shortly the summary of this.  
21 As you see here, all the SWMU's have been  
22 identified and classified. The  
23 classifications include no action, high  
24 priority, moderate priority, low priority or  
25 moderately low priority. We will go through

1 a summary of this. Just to point out also  
2 that several of these -- I think there is  
3 seven, as a matter of fact, that have been  
4 identified on these sheets as TBD, to be  
5 determined. We met yesterday, our group  
6 project managers group which includes NYSDEC,  
7 New York State Department of Environmental  
8 Conservation, as well as EPA and Seneca. And  
9 we have agreed to classify all of these to be  
10 determined SWMU's as low priority AOC's. So  
11 when we revise this we will include all of  
12 those TBD's, or to be determined, as low  
13 priority SWMU's. I am not going to spend a  
14 lot of time here identifying any particular  
15 one. It is all shown in your handout but I  
16 want to provide you with a listing of the 72  
17 and where they currently are classified. But  
18 what's interesting is the summary of all of  
19 the classifications of all the SWMU's. This  
20 is an overview picture -- again this is in  
21 your handout -- of where we stand on all the  
22 SWMU's.

23 Now, just to make sure there is no  
24 confusion here. There are 13 high priority  
25 SWMU's that have been identified in the SWMU

1 classification report. All of those SWMU's  
2 are currently under investigation. Five of  
3 those SWMU's were combined into an operable  
4 unit at the ash landfill. Plus there is  
5 another operable unit that is currently  
6 involved in RI/FS. That would bring that  
7 number to six. Plus the six high priority  
8 SWMU's that are currently under  
9 investigation. So it brings the number to  
10 thirteen. All of the thirteen are currently  
11 under investigation either with an RI/FS  
12 process or under the, you know, site  
13 investigation.

14 The moderate priority, there are three  
15 of those. They are also under investigation  
16 as site investigations. As well as the  
17 eleven moderately low priority. Those have  
18 been combined into a couple of SWMU's which  
19 have all been investigated as eight but there  
20 are really eleven.

21 The low priority SWMU's. At this point  
22 we are investigating seven. We have  
23 identified thirteen. Plus there are seven  
24 additional that I just mentioned from the to  
25 be determined that are also listed -- will be

1 listed as low priority which will bring the  
2 number to twenty. We are investigating at  
3 this point seven. There are thirteen low  
4 priority AOC's that we have to consider at  
5 this point. There are twenty-five no action  
6 AOC's or SWMU's.

7 That pretty much is a summary of where  
8 we currently stand in the investigation and  
9 identification of all of the SWMU's or AOC's  
10 at the Seneca Depot.

11 One of the primary documents that is  
12 identified in the IAG is the SWMU  
13 classification report. As the name implies,  
14 it is a report that identifies all of the  
15 SWMU's, classifies them in one of the groups  
16 that we just discussed.

17 We have performed limited sampling  
18 recently. The limited sampling was intended  
19 to provide us with preliminary information to  
20 help support classification of several of  
21 these SWMU's that were teetering on whether  
22 they were no action or low priority. We have  
23 collected that information. And based on  
24 that information, as I said, those to be  
25 determined SWMU's have been classified as low

1 priority AOC 's. Which again the second  
2 bullet item here really doesn't apply. We  
3 agreed to do low priority. The report is due  
4 to EPA and NYSDEC on June 10th, 1994. We  
5 have every intention of making that date.

6 Moving on to the high priority SWMU's.  
7 Actually they are AOC's. I somewhat use that  
8 term interchangeably. At this point they are  
9 not SWMU's. They are AOC, areas of concerns.  
10 This is the list of the high priority AOC's.  
11 We have currently completed the field work  
12 and have begun writing the report. The field  
13 work is initiated in October after receiving  
14 approval of the work plan from both NYSDEC  
15 and EPA. It was completed in early February.  
16 Some of the tasks that I highlighted are  
17 investigatory tasks, include photogrametric  
18 mapping, surface soil sampling, geophysical  
19 investigations, data evaluations, asbestos  
20 sampling, et cetera. We have prepared a  
21 pre-draft report for our review only. We  
22 have received comments from that. It was  
23 submitted April 29th. We should be receiving  
24 regulatory comments on June 10th; also on the  
25 same date the SWMU report is due. It will be

1 a busy week for us.

2 What I am going to show you today are  
3 some of the figures that will be included in  
4 that high priority AOC site investigation  
5 report. And I made copies of these overheads  
6 so you can follow along. Although they are  
7 not color I think you can hopefully follow  
8 along with what's happening here.

9 This is SWMU -- what we call SWMU four.  
10 It is SWMU four. It is the old munitions or  
11 break out washout plant. What was performed  
12 here was the spent casings of the shells,  
13 like Howitzer (phonetic) shells and whatnot,  
14 still had residual propellant in there. It  
15 would come to this plant and be washed out  
16 with steam and the wash water was discharged  
17 through leach fields. Our investigation was  
18 to try to ascertain the extent, if any, of  
19 the impacts caused by the operations. I  
20 guess the interesting thing on this facility  
21 is that we had expected to find some residual  
22 amounts of PEPS. Well, we haven't found that  
23 much. We found low levels of TNT. What I  
24 show here is we were surprised to find copper  
25 at the levels that we did find here. And we

1 think there is kind of a relationship between  
2 possibly what went on in the building. It is  
3 former building 230. We are not sure exactly  
4 what specific operation went on there. But  
5 there is a ditch or drainage pipe, I believe,  
6 that comes across the road from this building  
7 and leads directly to this pond down here.  
8 When the pond sediment built up in time, some  
9 of that sediment was pushed to the side over  
10 here. We are in fact finding elevated levels  
11 of copper not only in the sediment that was  
12 excavated from the bottom of the pond but we  
13 went out to the middle of the pond in a boat  
14 and found -- took a sample of sediment in the  
15 pond. I am talking in the neighborhood of  
16 three thousand parts per million here.  
17 Background for the site is generally running  
18 someplace in the neighborhood about 30 parts  
19 per million. It was kind of unusual that we  
20 found metals where we didn't expect to find  
21 metals. We are going to have to consider  
22 that.

23 The next facility is what we call SEAD  
24 16. And this is the old deactivation  
25 furnace. What went on here is bullets or



1 small arms were deactivated or rendered  
2 harmless through the process of heating  
3 inside a large steel rotary kiln tube. This  
4 is the old facility. Subsequent to this a  
5 newer facility was built and that is SEAD 17  
6 that we will discuss in a minute. What we  
7 found here was not surprising. We found some  
8 elevated levels of lead in a lot of the  
9 surface soils, which is the picture I am  
10 showing you now. The highest being upwards  
11 of nine thousand parts per million of lead in  
12 the surface soil. Lead was known to be a  
13 component of, you know, the bullets and some  
14 of the propellant material.

15 The next AOC that we have investigated  
16 is what we call SEAD 17. That is the  
17 existing deactivation furnace. This facility  
18 is currently being applied as part of the  
19 permit to operate under the part B permit. A  
20 trial burn has been prepared. But we  
21 identified this as a SWMU and subsequently  
22 did an investigation to identify the  
23 potential threat to human health and the  
24 environment. Again what we find here are  
25 lower levels of lead but nonetheless what we

1 think are elevated above background levels of  
2 lead; the highest of which here is probably  
3 around three thousand parts per million. But  
4 not inconsistent with what we would like or  
5 what we expected to find.

6 COMMITTEE MEMBER: Are these surface  
7 samples or do they go down?

8 MR. DUCHESNEAU: These are zero to six  
9 inches to the surface. That is consistent  
10 with what NYSDEC's policy of surface soils  
11 should be.

12 What we are looking at here is SEAD 24,  
13 which is the abandoned powder burning pit.  
14 This again was somewhat of a surprise to us.  
15 We found elevated levels of arsenic in the  
16 surface soils and those are identified in  
17 this area pretty much up in here. By  
18 elevated I am talking approximately 50 parts  
19 per million where the background is generally  
20 running much lower than that. I think  
21 NYSDEC's Tag -- technical action guidance  
22 memorandum -- which is the soil clean up  
23 value that NYSDEC uses for guidance, is seven  
24 parts per million for arsenic. We are  
25 somewhat above that. This was somewhat

1 surprising. We don't understand why arsenic  
2 would be at the levels that we found it at.  
3 Because arsenic is not typically associated  
4 with the operations that went on here; in  
5 other words, burning of powder, of munitions.

6 MR. DURST: Could this have come from  
7 farming pesticides?

8 MR. DUCHESNEAU: Yes. I believe arsenic  
9 is a component of pesticides. In some cases  
10 it could have been spread there. I guess the  
11 issue that we are concerned with is why is it  
12 so localized in this area. It is kind of  
13 unusual.

14 The next one is SEAD 25, this is the  
15 fire demonstration pad. What went on at this  
16 facility was, as the name implies, fires were  
17 ignited and then, you know, subsequently put  
18 out by the fire department at the facility.  
19 We have found BTEX -- Benzene, Toluene,  
20 Ethylbenzene and Xylene, otherwise known as  
21 BTEX -- at levels approaching -- the highest  
22 in this one boring is about 15,000 parts per  
23 billion micrograms per kilogram. It  
24 coincides almost exactly with the location of  
25 what we find in the groundwater for these

1 components. It is very consistent with what  
2 we would expect. Implying the use of a  
3 gasoline. These BTEX compounds are petroleum  
4 based compounds and major components of  
5 gasoline. What we expect what happened here  
6 is some of the gasoline that was used to  
7 ignite the fires to be put out have leached  
8 into the soil and subsequently into the  
9 groundwater. Again that is not inconsistent  
10 with what we expected to find. We didn't  
11 expect to find the levels at that level. We  
12 pretty much knew what went on there.

13 This is SEAD 26. It is the fire  
14 training pit. And in the middle of this is  
15 an elevated plateau approximately 10 to 15  
16 feet above the low ground and it flattens out  
17 and is consistent grade-wise with the  
18 elevation of the railroad tracks on this  
19 side. Right in the middle is a bentonite --  
20 bentonite is a clay -- lined pit. And as the  
21 name implies here this is where fire training  
22 activities were performed for people involved  
23 in fire prevention and fire fighting  
24 activities. So the pit was occasionally  
25 ignited. Oil was placed in the pit. It is a

1 bentonite lined pit so the oil wouldn't seep  
2 down into the ground. The pit was ignited  
3 and then subsequently extinguished by the  
4 fire training folks. What we found here is  
5 not inconsistent with what we expected. What  
6 I am showing you are the PAH's. PAH's are  
7 poly-aromatic hydrocarbons. Those PAH's are  
8 products of the combustion process as it  
9 occurred. It was totally consumed. As a  
10 result of that, there are PAH's. They are  
11 deposited had over the surface of those  
12 soils. What we are finding is elevated  
13 levels of these particular compounds. These  
14 are the same kind of compounds that you  
15 probably inhale through cigarette smoke and  
16 the like. In this case they are deposited on  
17 the surface of the soils.

18 The last of the high priority SWMU's  
19 that I will be talking to you about today is  
20 SEAD 45. This is the open detonation area.  
21 This is a facility that is an active RCRA  
22 facility. The subpart X has been submitted  
23 to the DEC and we are currently in the stages  
24 of negotiating the permit for that facility.  
25 But again while that permit is being applied

1 for this was identified as a solid waste  
2 management unit. We have subsequently  
3 performed this investigation to identify what  
4 the existing issues are at this facility.  
5 What we found here are not unexpected.  
6 Explosives in some of the surface soils.  
7 That is what this graph shows you. The open  
8 detonation mound is a rather large mound of  
9 soil; approximately 10 to 15 feet high and I  
10 would say 60 to 90 feet long. What occurs  
11 here is ammunitions that are deemed off spec  
12 or needing to be deactivated are buried in  
13 pits that are dug and then detonated. What  
14 we found here, the point of the mound is to  
15 decrease the shock of the explosion to try to  
16 keep the material from, you know, kicking out  
17 as far as it would if the mound of soil  
18 wasn't over it. What we found is some of the  
19 explosives that were detonated here have  
20 residual amounts that have been found in the  
21 mound itself. Given the fact that the mound  
22 is the center of the detonation it is not  
23 unusual to expect residual levels of  
24 explosives in the mound. I guess the issue  
25 that we see or feel is that given the slope

1 of the land and the infiltration of the run  
2 off of the rain from this we found, you know,  
3 the highest concentration of explosives in  
4 the low lying area down in this spot here.  
5 So we think that what we believe is happening  
6 is some of the rainfall is basically washing  
7 some of that material down into the low lying  
8 spots.

9 Just to move on to what we call the  
10 moderate priority SWMU's. Again we set up  
11 this criteria of identifying these SWMU's and  
12 our investigations have been focused on worst  
13 first type of priority. The seven priority  
14 SWMU's are fairly far along in the process.  
15 The three moderate priority SWMU's are  
16 lagging along in a couple months. We will  
17 get to them in the degree of completion as  
18 the other ones are.

19 This is SEAD 11. It is the old  
20 construction debris landfill. And what we  
21 found here is material that was construction  
22 debris and that kind of stuff was deposited  
23 in this landfill. It is a well defined  
24 landfill. Actually I think I have this  
25 turned somewhat around here. I guess it goes

1 this way. Right. But it is clear where the  
2 boundary of this mound of this landfill is.  
3 You can see it from the rise of the  
4 elevation. We have done several borings and  
5 test pits and whatnot. We have found  
6 basically the problem is semi-volatiles or  
7 PAH's; several that we were talking about  
8 earlier at the fire training pit. These  
9 compounds are very insoluble and tend to  
10 absorb to soil. You generally find them  
11 associated with the soil particles and not  
12 dissolved in the groundwater.

13 This is SEAD 13, what is called the  
14 IRFNA pit. IRFNA stands for inhibited red  
15 fuming nitric acid. Back in the 50's and  
16 60's it was used as rocket propellant and  
17 some of that was stored at the Depot and  
18 subsequently disposed of. Because it was an  
19 acid you have to dispose of it in a base.  
20 Pits were dug in this general vicinity, lined  
21 with lime stone, which is a base, and the  
22 acid was slowly poured into the pits and  
23 mixed with the lime stone to neutralize the  
24 acid.

25 What I am showing you here is the



1 results of our geophysical and photogrametric  
2 survey. It identifies areas in the ground  
3 that are highly conductive. This produces a  
4 salt. The salt obviously increases the  
5 conductivity of the ground. As a result of  
6 that we have been able to identify the mound  
7 of this dissolved salt plume which seems to  
8 be consistent where the IRFNA pits were  
9 neutralized. This area here, the organic  
10 here is associated with dissolved salt --  
11 nitrates from the nitric acid, calcium from  
12 the lime stone, sodium from probably the  
13 nitric acid also -- which is causing us this  
14 high conductivity area. So we think we have  
15 pretty well delineated the extent of this  
16 salt plume.

17 The last of the three is SEAD 57. And  
18 it is the EOD area, explosive ordnance  
19 disposal area. This is SEAD 57. At this  
20 point we don't have all our data back. I  
21 can't show you any nice color graph of this.  
22 This would obviously be for the next time we  
23 met. I will show you the map that we have  
24 produced from the photogrametric work that we  
25 have done and identify this as the area where

1 the explosive ordnance detonation was done.  
2 It is similar to the berm area at the open  
3 burning ground. We have done several  
4 monitoring wells and soil samples in the  
5 area.

6 Moving on to the eight moderately low  
7 priority AOC investigations. Again we have  
8 received final work plan approval on January  
9 27th and initiated field work in February.  
10 As we speak, we are currently involved in  
11 completing the investigation at these eight  
12 AOC's. The tasks that we have completed to  
13 date include the seismic survey, the  
14 geophysical work, the test samplings, surface  
15 soil sampling, et cetera. We have installed  
16 several monitoring wells. We have additional  
17 monitoring wells to be installed. As well as  
18 some additional soil bores. We expect the  
19 field work to be done in July. And two or  
20 three months after we would be issuing this  
21 report. I would imagine sometime in early  
22 fall we would have completed this  
23 investigation.

24 Just a note on our general approach. It  
25 is consistent throughout both the RI/FS

1 process as well as the investigation of the  
2 AOC's. What we generally begin by doing  
3 after we have done a thorough literature  
4 search of the history of the site is to  
5 perform geophysical; that includes EM surveys  
6 to try to identify magnetic anomalies. We  
7 try to find pits or any other anomalies. In  
8 the geophysical work we do seismic surveys.  
9 The intention of the seismic survey is to  
10 find the depth of the bedrock. From that  
11 information we believe -- and its been  
12 consistently shown throughout the  
13 investigations to date -- the slope of the  
14 bedrock or the shale defines the slope of  
15 where the groundwater flows. From that  
16 information we are able to place our wells  
17 from the upgradient and downgradient of the  
18 area. And it helps us space so we don't  
19 space them too far apart or in the wrong  
20 location so we don't miss where the  
21 downgradient location is. Its been very  
22 successful to date.

23 Although I have in the book identified  
24 all of the SWMU's, I am not going to bore you  
25 to death here going through each one

1 individually. But the general approach, as I  
2 have mentioned, we generally come in,  
3 identify the location, where the groundwater  
4 flow is, install an upgradient well and two  
5 downgradient wells as required by RCRA  
6 following our geophysical work. It could be  
7 pending the soil gas survey if we believe  
8 volatiles are involved. From that  
9 information we are then able to go back and  
10 install test pits. If we identify, you know,  
11 a pit or a buried metallic object, we collect  
12 some soil samples. As a result, we do some  
13 test pitting and also some soil borings in  
14 the area to better define the location of any  
15 dispersed material there, such as a liquid  
16 like a gasoline type plume or something.  
17 That generally has been our approach at all  
18 of these SWMU's. I am not going to get into  
19 each individual SWMU here because I think you  
20 will be asleep before we get halfway through.  
21 They are all included in your book. And  
22 these are essentially figures from our  
23 approved work plans. So the approach is  
24 relatively consistent between all of them.

25 The seven low priority investigations is

1 again following behind the moderately low  
2 priority AOC investigations. And I mean it  
3 is almost a repetition of what you have seen.  
4 They are probably a week or so lagging behind  
5 the moderate priority, the moderately low  
6 priority AOC's. We also expect this report  
7 to follow shortly thereafter. Sometime in  
8 early fall after the eight moderately low  
9 priority AOC's having completed.

10 I have also included in your handout  
11 again work plan cuts showing the location of  
12 the wells, soil samples that we are planning  
13 on taking. We are currently involved in  
14 completing these investigations and I am  
15 simply not going to go through every single  
16 SWMU here and show you where the wells are.  
17 I mean, it is all defined in there. I mean,  
18 unless there is a need to do that.

19 MR. DURST: Could I ask one question on  
20 a couple of the moderately low sites? It was  
21 radioactive waste burial sites. I was just  
22 curious what the wastes were and how were  
23 they buried? Were they containerized in some  
24 way?

25 MR. DUCHESNEAU: I think -- could we

1 hold off on that question until after this?  
2 That is probably a topic I think Randy or  
3 Steve may want to discuss with you.

4 MR. ABSOLOM: Fine.

5 MR. BATTAGLIA: We can do that.

6 MR. DUCHESNEAU: The next order that I  
7 would like to discuss with you is the action  
8 memorandum. What this is is a document that  
9 has identified an area at one of the RI/FS's  
10 that we are doing at the ash landfill. It is  
11 a document that basically says we want to do  
12 some type of remedial action. It was  
13 submitted for agency review on December 3rd,  
14 1993. We received regulatory comments. We  
15 are currently revising the document on the  
16 final and we just recently re-submitted it  
17 back to EPA and NYSDEC for the draft finals.  
18 So we are getting very close to finalizing  
19 this document and moving forward and actually  
20 performing a remedial action at the ash  
21 landfill.

22 Now, just to highlight that particular  
23 site. This is the ash landfill site. The  
24 area of concern is this bound area here. And  
25 in particular it is pretty much this area

1 that we call the bend in the road that we  
2 have identified through Phase I. Through the  
3 soil gas surveys there was a concentration of  
4 volatiles as well as through our monitoring  
5 well a source of dissolved chlorinated  
6 organics pretty much originating from this  
7 spot. We think it is responsible for the  
8 source of this groundwater plume that we have  
9 identified as the ash landfill RI/FS. We  
10 will get into talking about that briefly. On  
11 a close up of this area there are basically  
12 two areas of contaminated soil that is the  
13 focus of our interest here that we would like  
14 to remediate. It constitutes approximately  
15 23,000 cubic yards of material or roughly  
16 35,000 tons of material that need to be  
17 remediated in some way.

18 The proposed strategy here involves  
19 excavation, low temperature thermal  
20 desorption followed by thermal oxidation of  
21 off gases. It is to remove the existing  
22 threat and streamline the RI/FS process and  
23 eliminate the source of continual leaching to  
24 the groundwater plume. Treatment goals are  
25 the NYSDEC tag, technical action guidance

1 memorandum. Values for TCE, 0.7. It was 540  
2 parts per million. DCE, a known proposed  
3 breakdown product of trichloroethylene, 79  
4 parts per million, is above the .3 parts per  
5 million. And also some vinyl chloride, which  
6 is a final breakdown product of trichlor. As  
7 I mentioned, we are talking about 23,000  
8 cubic yards or roughly 35,000 thousand tons  
9 of material.

10 The technology that we think is the most  
11 appropriate to use here is called low  
12 temperature thermal desorption. This is a  
13 machine that happens to be by Canonie. There  
14 happen to be several in the country that can  
15 do this. It means excavating the soil,  
16 putting it in some type of hopper, through a  
17 rotary kiln process, which basically rotates  
18 the soil. And as it is rotated it mixes it.  
19 The hot air is forced up the cylinder. The  
20 volatiles are volatilized from the soil,  
21 swept through a series of air pollution  
22 control, which includes a bag house, cyclone  
23 and venturi. In this particular instance  
24 they are using activated carbon. Because of  
25 the presence of vinyl chloride we are asking



1 the gases be thoroughly oxidized. Vinyl  
2 chloride does not oxidize through carbon and  
3 we are concerned about the emissions from the  
4 stacks of that.

5 Just a picture of a similar process that  
6 I was involved in. It is pretty much what  
7 you see here. I don't know if you can see it  
8 in your book there but here is the conveyer.  
9 Right here is the rotary kiln. Off gases are  
10 swept through the bag house. In this case  
11 there is a wet scrubber. What you can't see  
12 is the cyclone and the activated carbon  
13 absorber. They are in the background. The  
14 soil in this case was taken out and actually  
15 put back in the ground with concrete.

16 Moving on to the RI/FS at the ash  
17 landfill. Again we have touched on this just  
18 briefly as part of the action memorandum. We  
19 have scheduled a submission of the draft  
20 final RI on June 22nd. The reason that has  
21 been somewhat delayed -- the reason is to put  
22 in two additional monitoring wells and the  
23 ash landfill operation unit being made  
24 operable was combined in here. We have  
25 needed to install two additional wells so

1 that has delayed the submission of the  
2 report. But we are planning on getting that  
3 out on the 22nd of June. Subsequent to that  
4 the FS, or the feasibility study, which looks  
5 at various alternatives will be submitted to  
6 the Army. It was submitted -- it was  
7 submitted to the regulators. It was  
8 submitted to the Army for review on January  
9 17th. Because of that delay I mentioned it  
10 is not planned to be re-submitted for  
11 regulatory review until July 11th. That will  
12 include all the data from those two  
13 additional wells that we have just recently  
14 installed.

15 Just to provide you a highlight of where  
16 we stand on that. On the aspect of what the  
17 big picture issues are on that site we talked  
18 about the soil issues related to this site;  
19 in other words, the contaminated soil and the  
20 bend in the road area. And that is being  
21 addressed expeditiously with the action  
22 memorandum. The groundwater plume still  
23 remains. Here is the outline. This is right  
24 out of the RI basically. Basically the  
25 highest concentration is right in the area NW

1 44, which is right in the middle of where  
2 that contaminated soil that we identified  
3 was. And it is a fairly extensive  
4 groundwater plume heading off towards the  
5 west. What our proposed remedial action for  
6 that problem is is a series of collection  
7 interceptive trenches strategically located;  
8 one immediately downgradient in this area and  
9 another one down at the toe. We believe  
10 because of the nature of the geologic  
11 material there -- the till, which doesn't  
12 yield a lot of water -- that the most  
13 effective way of capturing that plume is  
14 installing trenches -- trench drains to go  
15 down to the bedrock 10 feet down, back  
16 filling with gravel and at the bottom of the  
17 gravel filled trenches, you know, using PVC  
18 perforated pipe to allow the water to collect  
19 in and move off into a sump. That material  
20 would be pumped to a holding tank and treated  
21 with either air stripping or UVO zone. We  
22 are not sure exactly which alternative at  
23 this point. We are currently looking into  
24 doing treat-ability studies with UVO zone.  
25 Those are the two alternatives that we have

1 decided on. We want to do more studies on  
2 the possibilities of using UVO zone. The  
3 advantage of using UVO zone is it doesn't  
4 have any air emission.

5 Moving on to the opening burning RI/FS.  
6 These are CERCLA type investigations. The  
7 draft final was submitted March 3rd for the  
8 RI. We received EPA comments. NYSDEC has no  
9 further comments on the document. The final  
10 is expected to be submitted back to EPA and  
11 NYSDEC in late May. So that is coming up  
12 very shortly. The FS, which again lags  
13 slightly behind the RI, has been submitted  
14 for regulatory review on March 10th. We have  
15 NYSDEC comments. We should be receiving EPA  
16 comments shortly. Once we have all the  
17 agency comments we will respond to the  
18 comments and resubmit that back as the  
19 final -- actually the draft final for the FS.

20 Just to provide you with a highlight of  
21 some of the alternatives that we are  
22 considering at the open burning ground. One,  
23 is the no action alternative. That is a  
24 baseline alternative. Essentially the  
25 problem here, as we see it, concerns metals

1 and basically you cannot really destroy a  
2 metal. You can't change lead to gold. You  
3 can't change lead to Co2. It is lead and it  
4 will always stay lead. What the alternatives  
5 involved in doing something with metals are  
6 basically isolation or solidification or  
7 somehow binding the metals in a matrix that  
8 would prevent it from leaching into the  
9 groundwater, for example, or prevent it from  
10 getting on people's skin and that kind of  
11 thing. So the alternatives that we are  
12 looking at are excavation and consolidation  
13 of the areas; off site treatment of some of  
14 the more elevated levels of lead and possibly  
15 capping in place. You can see the list here.  
16 Off site landfill is another one.  
17 Constructing solidifying material. The  
18 solidification phase is a process that  
19 involves mixing the soil with the heavy  
20 metals in some type of cement based material;  
21 basically form an analytic structure.  
22 Disposing on site or off site. Soil washing  
23 is another innovative technology. That is  
24 potential application soil washing. It could  
25 separate the fine material from the course

1 material. And the intention of that is the  
2 heavy materials would tend to segregate with  
3 the fine materials. So once we have  
4 separated the fines that have most, if not  
5 all, of the heavy metals we basically have  
6 accomplished a volume reduction. It is a lot  
7 less material that would have to be either  
8 disposed of off site or somehow solidified  
9 and placed on site into a cap or a landfill  
10 on site. Another option that we are  
11 considering is the possibility of acid  
12 washing some of the fines to remove the  
13 metals to another level of consolidation and  
14 then treating that smaller volume of  
15 material.

16 So therein lines pretty much the  
17 alternatives that are currently under  
18 consideration. It encompasses pretty much a  
19 wide range of innovative and standard  
20 technologies. That is it pretty much. I  
21 think we have run through all of the delivery  
22 orders. That is pretty much all I had to  
23 discuss today. I will turn the floor over.  
24 Are there any questions?

25 MR. DURST: I had a few others besides

1 the radio chemical one. In the case, for  
2 example, of the calcium nitrate where you got  
3 rid of the red fuming nitric acid, that was  
4 rated firstly high priority, I guess.

5 MR. DUCHESNEAU: Moderate.

6 MR. DURST: Why? Neither of those  
7 things are really toxic insofar as the  
8 nitrate? If anything, it is going to make  
9 vegetation grow better.

10 COMMITTEE MEMBER: There is a primary  
11 drinking water standard for nitrate. That is  
12 one of the reasons. And, in fact, we did  
13 find concentrations in excess of that  
14 drinking water standard.

15 MR. DUCHESNEAU: The other thing would  
16 be the concept of mixing a strong acid with a  
17 base. Not all of the acid was neutralized.  
18 Some of that acid could slip through the  
19 cracks and maybe change the pH and maybe do  
20 ecological damage. Those were some of the  
21 issues that may have gone through, you know,  
22 the people that decided upon the range. I  
23 think it was Randy and EPA.

24 MR. DURST: Another question I had was  
25 on your diagrams where you had the color

1 contours and so on. Some of the contours  
2 seemed to just cut off where a high level was  
3 indicated. Are you going to fill in those  
4 contours with more studies?

5 MR. HEALY: Yes. Anything that shows a  
6 high level running off the page would be  
7 indicative that a site investigation is of  
8 concern or is of need. In which case we will  
9 follow up with the site investigation which  
10 goes into much more -- or the RI/FS goes into  
11 much more detail delineating those areas.

12 MR. DUCHESNEAU: If you remember back to  
13 the whole process we first outlined going  
14 from the SWMU class phase to the site  
15 investigation phase and to the RI/FS phase,  
16 the intention of the SI, the site  
17 investigation phase, is to basically answer  
18 the question does a threat exist. In a case  
19 that you are pointing out, we have an  
20 elevated concentration but we haven't bounded  
21 that on all sides. That would probably  
22 constitute enough of an issue to cause it to  
23 move over into the RI/FS phase. In which  
24 case we would add additional soil samples to  
25 define that area and then evaluate it as part



1 of the risk assessment process simply as we  
2 are doing for both the ash landfill and the  
3 OB ground, which were the last two sites we  
4 talked about.

5 MR. DURST: Okay. One other question on  
6 the chlorinated organics, especially at this  
7 plume that you are just discussing at the old  
8 landfill. Have you had enough time to  
9 determine whether that plume is continuing or  
10 is natural bio-remediation holding it in  
11 place?

12 MR. DUCHESNEAU: Seneca has been  
13 groundwater monitoring for about eight years.  
14 Actually, to be honest with you, the  
15 concentration and the extent of that thing  
16 has not changed. All the time we have been  
17 involved we haven't seen a real shift in that  
18 plume. My personal opinion is exactly what  
19 you suggested here. Is that by the time the  
20 plume gets down that far -- because the  
21 groundwater is so slow in moving here -- that  
22 it is essentially bio-remediated pretty much  
23 by the time it gets to that point. Now, will  
24 it ever move an additional 10 or 15 feet? I  
25 mean, who is to say? We don't have wells in

1 every two foot intervals to tell you that  
2 conclusively. I don't believe that we think  
3 the plume is particularly moving at all. We  
4 haven't seen it move that far.

5 MR. HEALY: Also it is likely the stuff  
6 that was dumped there was in the area of 75  
7 years ago. What you are looking at is 15 to  
8 20 years later.

9 MR. DUCHESNEAU: We have tried to  
10 monitor that plume and accumulate data to  
11 date based on what we think is reasonable bio  
12 degradation, which we have tried to calibrate  
13 with the site data. We think most of that  
14 plume is being bio degraded.

15 MR. DURST: Are you going to do more  
16 environmental damage rather than let nature  
17 take its course?

18 MR. DUCHESNEAU: The ARAR's used, which  
19 is classified as a source of drinking water,  
20 is for TCE. It is five parts per billion.  
21 Some locations on this site it is much higher  
22 than that from an ARAR standpoint because we  
23 exceed the established State's standards for  
24 drinking water and groundwater, you know.  
25 That is, to a larger degree, driving this

1 whole process.

2 MR. CHAPLICK: The other issue is how  
3 far is that from the edge of the plume?  
4 There is a drinking water well a thousand  
5 feet downgradient.

6 MR. DUCHESNEAU: A trench is not going  
7 to be that big of a destruction to the  
8 environment. It is basically about this wide  
9 and going down about eight feet. So we are  
10 not talking about excavating the entire site  
11 to get that. Certainly, the excavation of  
12 the soil is going to cause some environmental  
13 damage to the critters, the worms that live  
14 in the soil at that particular spot. But we  
15 would like to eliminate that source of  
16 contamination.

17 COMMITTEE MEMBER: Just a quick  
18 question. You basically have 10 feet of  
19 glacial till over bedrock?

20 MR. DUCHESNEAU: Correct.

21 COMMITTEE MEMBER: The depth to  
22 groundwater is?

23 MR. DUCHESNEAU: For the ash landfill,  
24 for example, there are times during the year  
25 where the groundwater is six inches from the

1 surface. At other times of the year that  
2 level drops to, you know, six to eight feet  
3 below ground surface. It is pretty amazing  
4 when we looked at it but we have confirmed  
5 that. We have also done some literature  
6 searches at other sites around the country;  
7 one in particular in Ohio where it was  
8 reported there were similar types of  
9 fluctuations in groundwater. The best we can  
10 come up with is largely this whole process of  
11 fluctuation of groundwater is a evaporation  
12 issue. Possibly springs or seepage through  
13 some of the ditches that surround the roads  
14 and facility maybe contributing to that also.  
15 But we sampled the springs. We sampled the  
16 surface water discharges in those areas and  
17 have not really found any volatiles in that  
18 water. Now, the depth to rock here is, I  
19 would guess -- again depending upon the  
20 site -- but roughly about 10 to 15 feet of  
21 till to the bedrock and there is a 5 foot  
22 zone of weathered bedrock, weathered shale  
23 followed by seven hundred feet of Devonian  
24 shale loaded with fossils, I might add. That  
25 is basically the geology here. When we do

1 our augering, we do auger essentially to  
2 compensate bedrock. We can generally auger  
3 with no problem. We may break a few bits off  
4 here and there. It is fairly soft.

5 COMMITTEE MEMBER: These wells are  
6 screened in the weathered bedrock?

7 MR. DUCHESNEAU: The majority of the  
8 wells are screened in the overburden, the  
9 till. We have conducted at the ash landfill  
10 a fairly extensive bedrock investigation,  
11 which has included down to 100 feet; also  
12 packer tests at 20 foot intervals. And we  
13 are screening the wells at the zone that we  
14 found most permeable in the rock. That has  
15 all been completed at the ash landfill. The  
16 bedrock has not detected volatiles in the  
17 competent rock. So we are not focusing our  
18 remediation efforts at this point in the  
19 bedrock because there is hardly any water  
20 there. The permeability that we are getting  
21 through the rock through the packer test are  
22 ten to the seventh and up. So there is  
23 essentially no water there. And the water  
24 that is there is uncontaminated.

25 MR. HEALY: Ten to the seventh or ten to

1 the minus seven?

2 MR. DUCHESNEAU: Ten to the minus seven.

3 MR. HEALY: Slight difference.

4 MR. DUCHESNEAU: I think he knew what I  
5 meant. Therein lies a quick synopsis of the  
6 geology out there. It is fairly consistent  
7 throughout the facility. If you look at the  
8 U.S. Survey Publication, this whole area is a  
9 glacial till plane. To the north it is a  
10 little bit more washed out deposits. To the  
11 south there is a terrain. But right here it  
12 is essentially a till plane. And that has  
13 been absolutely every place we look we find  
14 basically that.

15 COMMITTEE MEMBER: Given its TCE  
16 contamination -- understanding that TCE is a  
17 predominant plume -- is there -- has there  
18 been any evidence of DNAPL?

19 MR. DUCHESNEAU: It is called DNAPL,  
20 dense, non-aqueous phase liquid. Those  
21 aqueous liquids -- TCE has a greater interest  
22 of point one. Because of its density being  
23 greater than one then it will pond someplace  
24 below the water; say in the bedrock in this  
25 case. And obviously it is a difficult thing

1 to remediate and difficult to find and really  
2 get it out. We have, in fact, done several  
3 borings of the hot spot and have not, as of  
4 yet, discovered the presence of DNAPL's.  
5 That doesn't say we have elevated soil  
6 concentrations. We have not found through  
7 the boring program that we have done or  
8 through the existing monitoring that has been  
9 installed the presence of a DNAPL's. My  
10 answer is no. There are some transfers of  
11 the solvent in the pore space of the soils.  
12 Maybe there is a displacement of the water in  
13 the saturated pore space by some of this TCE  
14 material. But we haven't found enough  
15 evidence to say that exists as of yet. I  
16 think we have done enough borings out there  
17 that if it was there we would have hit it.

18 COMMITTEE MEMBER: Is there any reason  
19 to believe that the source would generate  
20 such a pool or substantial residual  
21 contamination?

22 MR. DUCHESNEAU: I am sorry.

23 COMMITTEE MEMBER: Not understanding the  
24 exact source of the TCE, would the quantities  
25 lend itself to generating the pools or

1 residual zone?

2 MR. DUCHESNEAU: You are talking about  
3 the concentration levels we are finding?

4 COMMITTEE MEMBER: Understanding the  
5 concentrations are dissolved and maybe  
6 indicative of three phases of the area, the  
7 residual zone as a pool. But more  
8 specifically I am interested in whether there  
9 is any historic reason to believe that large  
10 quantities of pure product were disposed of  
11 at the ash landfill during that time.

12 MR. DUCHESNEAU: We are not sure exactly  
13 how much was deposited there. We have not --  
14 I mean, I can't say there is a DNAPL'd plume.  
15 I have no evidence of that. Could I suspect  
16 that it is there? I guess I could but I  
17 don't believe it is there. The  
18 concentrations -- the highest soil  
19 concentration we found was 540 parts per  
20 million of TCE. That is hot but it is not,  
21 you know, to the level where I would expect a  
22 DNAPL. The percent levels and also the  
23 dissolved concentration, the highest is  
24 getting upwards between -- is it getting  
25 close to 10 percent or one percent?



1 MR. CHAPLICK: Of the saturation?

2 MR. DUCHESNEAU: Right.

3 MR. CHAPLICK: I think they got 10  
4 percent but I am not sure what the value is.

5 MR. DUCHESNEAU: I thought it was less  
6 than one percent. TCE is what? Seventeen  
7 hundred ppm? I don't think we are finding  
8 upwards.

9 MR. BATTAGLIA: Eighteen was 9.8.

10 MR. CHAPLICK: I don't remember what the  
11 numbers were.

12 MR. DUCHESNEAU: We have gone through  
13 this with the EPA. Although it is getting  
14 close to that magic number of ten percent of  
15 the saturation, this case would be 170 parts  
16 per million of TCE. One-tenth of the  
17 saturation, which is about 1700 ppm. We  
18 still have not yet found evidence that there  
19 is a DNAPL present. We have well 44 that is  
20 right smack dab in the middle of this thing  
21 at the hot spot. And that well does not  
22 indicate the presence of DNAPL. We have used  
23 clear balers (phonetic) to locate. If there  
24 is a separate phase, we haven't found that.  
25 But I mean, be that as it may, we are

1 planning at this point to excavate that whole  
2 area and it is all going to be roasted and  
3 remediated at that point. So I think we will  
4 take sufficient precautions to assure if that  
5 does appear through the process we will  
6 remove that material and remediate that  
7 potential problem, if it is there. Any other  
8 questions?

9 COMMITTEE MEMBER: I had a question. I  
10 think it was 12-A, the solid waste management  
11 unit geographically is big. But the area of  
12 concern was -- the arrow says, "pit." I am  
13 just wondering why it is labeled such a large  
14 area?

15 MR. BATTAGLIA: Actually the arrow is  
16 down.

17 MR. CHAPLICK: It is the pit and the  
18 tank.

19 MR. DUCHESNEAU: Maybe.

20 MR. BATTAGLIA: I will go over all that.

21 MR. DUCHESNEAU: May I can go over that.  
22 We weren't sure actually where these pits  
23 were. There were rumors they were in this  
24 general vicinity. What we did is basically  
25 put a bound on what we thought would

1 encompass any of this potential area of these  
2 pits. Subsequent to this we did our  
3 geophysical investigation again to try to  
4 focus on a large area down to a small area.  
5 Although I haven't, you know, shown you the  
6 information here we have, in fact, done an EM  
7 and radar and identified the location of  
8 these underground buried pits. We just  
9 recently completed that work. So we knew  
10 that there was one pit marking out there.  
11 You could see that. We also suspected there  
12 were other pits. Through the use of  
13 geophysical techniques we have been  
14 successful in identifying those locations.  
15 Therein lies the focus of our test pits. Not  
16 throwing a dot out on this huge area. To go  
17 and do it right at the spot where we found  
18 the geophysical evidence to suggest there is  
19 a pit there.

20 MR. BATTAGLIA: Rob, is this the one  
21 that you are talking about?

22 COMMITTEE MEMBER: Yes.

23 MR. BATTAGLIA: When you walk around  
24 this field, it is a moot field. By the  
25 terrain it is hard to tell as far as where.

1 There is a couple areas where they were found  
2 or areas that there were depressions. That  
3 is where we did the EM surveys to find out if  
4 there was a burial area. I think we  
5 identified a couple areas over in here in  
6 addition to these pit areas here.

7 MR. CHAPLICK: Maybe you just want to  
8 start the whole thing again.

9 MR. BATTAGLIA: We are answering your  
10 question. We waited for you.

11 MR. DURST: Thank you.

12 MR. BATTAGLIA: About the time we  
13 started looking at these areas we had got a  
14 phone call from Sandia National Labs. They  
15 are looking at the atomic sites around the  
16 country. There is 12 sites around the  
17 country where they built the same facilities.  
18 So we met with the people out there. And  
19 right now I am preparing a document that is a  
20 detailed description of what activities  
21 occurred at these buildings. It is a little  
22 hard to show on this map. But building 803,  
23 building 804 and some of the other 800 number  
24 buildings were built exactly the same across  
25 the country; twelve areas in the country.

1 Seneca Army Depot was the last one to be  
2 built in 1956. That is an important point.  
3 A lot of details I got to hold until I get  
4 the document prepared because there is a fine  
5 line on whether something can be public  
6 information or not because of the technical  
7 information that is going into it. So the  
8 things that are over the line we can't really  
9 release. We are going to get a historical  
10 description of the activities that went on at  
11 those facilities. That is what we are going  
12 to do. The people at Sandia are helping us.  
13 We got people from the Atomic Energy  
14 Commission back in the 40's and 50's. They  
15 had people that worked here when the Army  
16 took over, too. It is also very similar  
17 across the country at these places. They had  
18 similar disposal areas associated with these  
19 buildings. Building 804 -- they called it A  
20 structure and C structure. Building 804,  
21 which is the C structure, has the waste water  
22 tank to the north of that building. We had  
23 no idea what that waste water tank was for.  
24 After those discussions with Sandia they told  
25 us in case there was a problem in the

1 building they could washout the building and  
2 wash everything in the waste water tank.  
3 What they said is we never had a release  
4 here; that they never used the tank. But we  
5 are going to sample the tank as part of SEAD  
6 12 A and B just for confirmatory purposes.

7 Also across the country they also had  
8 what they call a dry waste disposal pit or  
9 area that normally was out behind the SEAD  
10 building. In Seneca it is over in this area  
11 here. These buildings are on the north end  
12 of the Depot; directly on the north side of  
13 the Depot. I don't have a Depot map here  
14 handy to show you. Just on the north side of  
15 the Building 804 is a waste water tank and  
16 directly northeast of that is one of the  
17 disposal pits. Building 803 is basically  
18 built with bank vault doors because if they  
19 had valuable items that is where they stored  
20 them. Also near these areas there is the  
21 northeast corner of the Depot. Romulus would  
22 be over on this side.

23 And in 1986 the Army dug up a pit  
24 location here and did remove drums with  
25 material inside the drums that was disposed

1 of off site. There is other areas. This  
2 whole field really was blocked off as being  
3 suspected because we really didn't know where  
4 or how much in that area they had buried  
5 things. We did know the Army buried a lot of  
6 miscellaneous parts that they generated from  
7 de-militarization activities. They just  
8 buried the parts. I don't know if they got  
9 it handy here or not. We have found a couple  
10 areas.

11 MR. DUCHESNEAU: You want the  
12 miscellaneous components?

13 MR. CHAPLICK: Twelve A, the big one.

14 MR. DUCHESNEAU: It would be oriented  
15 something like this. Although I am sure you  
16 can't see it back there. What this is is a  
17 geophysical output.

18 MR. BATTAGLIA: Show the pits here.  
19 Right here is the pit area that I am talking  
20 about next to the woods. And after we did  
21 the electromagnetic surveys we found the  
22 other burial areas over in here, which would  
23 be over in this area here. Also, to get your  
24 bearings, building 803 and 804 are over here.

25 COMMITTEE MEMBER: Where are the ponds?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. BATTAGLIA: Southeast of here.

MR. DUCHESNEAU: Far away.

MR. BATTAGLIA: Probably -- I don't know -- a quarter of a mile. We didn't know this whole field had been dug up or certain pits were in there. First draft of the SWMU classification report we basically just got an arbitrary square paced off in the report because I had somebody from the Army out there and we just kind of paced off an area. But that was just an initial report there. When we did this survey, we actually nailed it down to where they had burial areas. And in the site investigation that we are going to do we are going to do some test pitting and borings and sampling in and around those areas. This is one of the sites that is suspected for radioactive contamination as a contaminant of concern. Whether or not where or how it was generated, a lot of it we don't know. We do know that they did dig up radioactive contaminant waste in the dry storage pits.

MR. DURST: I don't suppose you can tell us what the radio isotopes are in particular?



1 Do they have long lives or are these --

2 MR. BATTAGLIA: We may say that in the  
3 document. The problem is when you are  
4 talking about sensitive things as far as  
5 whether something is classified or not, if  
6 you can add one and one equals two you can  
7 infer it equals two. You can't really say it  
8 completely like that. So what you do is you  
9 filter out some things so you can still tell  
10 the story without telling one and one equals  
11 two. Okay. That is basically what Sandia  
12 had to do for us. They really couldn't tell  
13 us everything AEC did down there. We are  
14 still working with them. They are going to  
15 come out on site. They are studying all  
16 these sites in the country. And they are  
17 going to be out here when we do the field  
18 work. My document, when it is done, is  
19 probably going to be detailed enough. You  
20 are really going to see everything they did  
21 back then when the AEC was here.

22 MR. COOL: What watershed is that in,  
23 Seneca or Cayuga?

24 MR. BATTAGLIA: Kenda (phonetic) Creek.  
25 The duck ponds feed down through there. It

1 is kind of split in half. To the west of  
2 there tends to drain westerly through Reeder  
3 Creek. That is in the northeast corner of  
4 Kenda (phonetic) Creek. This area here is  
5 SEAD 63. This is on the western side. Do  
6 you have a bigger map, Mike?

7 MR. DUCHESNEAU: That is all I have,  
8 Randy.

9 MR. BATTAGLIA: We can hold that up. We  
10 have the whole corner blocked off there. If  
11 you walk out on the site, it is a big gravel  
12 pad. It is not above grade from the rest of  
13 the ground around there. When we did the EM  
14 surveys, pretty much --

15 MR. DUCHESNEAU: The way it would look  
16 following that same area here is the same  
17 orientation. Here are the two roads that are  
18 identified and the fence line area here. So  
19 the area of high magnetic anomalies are in  
20 this area here.

21 MR. CHAPLICK: Like the big red spot.

22 MR. BATTAGLIA: We are looking at right  
23 in here.

24 MR. DURST: Is that near the special  
25 weapons compound?

1 MR. BATTAGLIA: This fence line here is  
2 the perimeter of the special weapons area.

3 MR. CHAPLICK: That is on the inside?

4 MR. DUCHESNEAU: Yes.

5 MR. CHAPLICK: That is on the inside of  
6 the fence.

7 MR. BATTAGLIA: And if it is done in  
8 time, it will go into the SWMU classification  
9 on June 10th. But if it is not done and if  
10 the report is not done in time for that, it  
11 will go in the SI report with the finding of  
12 the investigation as far as the historical  
13 information about the site. And the SI  
14 reports the work plans. And the SWMU  
15 classification report would be added in the  
16 record down at Willard. Okay. Does that  
17 answer your question good enough?

18 MR. DURST: Yes. Thank you.

19 MR. BATTAGLIA: Okay. Anything else?

20 MR. COOL: You said you found barrels on  
21 that one site. Can you tell us what was in  
22 the barrels?

23 MR. BATTAGLIA: They told me it was lab  
24 waste. That is what they told me. They were  
25 disposed of in a radioactive waste burial

1 site in South Carolina.

2 MR. COOL: After you dug them up?

3 MR. BATTAGLIA: After we dug them up.

4 MR. COOL: Were they leaking?

5 MR. BATTAGLIA: I wasn't there. I  
6 wasn't there.

7 MR. COOL: Is there evidence of leaking?

8 MR. BATTAGLIA: I don't know. In our  
9 site investigation we are going to  
10 investigate.

11 MR. DUCHESNEAU: That is what we are apt  
12 to find out. I guess it would be hard at  
13 that point for them to determine if anything  
14 had leaked. They didn't do soil sampling and  
15 that kind of stuff. That is what we are  
16 going to be doing.

17 MR. BATTAGLIA: One of the things the  
18 Sandia people told me -- told us when we were  
19 out there was some of the waste potentially  
20 would have been radioactive; would be swipes  
21 of uranium dust -- uranium oxide dust on the  
22 swipes. So that is why uranium was one of  
23 the contaminants of concern that we are  
24 looking for out there.

25 MR. CHAPLICK: These are primarily dry

1 materials. I would say not 100 percent dry  
2 but they were not liquid materials in the  
3 drums. They were solids.

4 MR. BATTAGLIA: As far as what I know.  
5 Another thing --

6 MR. DUCHESNEAU: That is what they tell  
7 us.

8 MR. BATTAGLIA: When they are out there  
9 burying parts and things, who knows if they  
10 threw a drum of solvent in there. We are  
11 also looking for chemical contaminants, also  
12 porous.

13 MR. COOL: When you removed the  
14 materials, was the integrity of the barrels  
15 all right, though?

16 MR. BATTAGLIA: I don't know. They  
17 didn't tell me anything about it. If no one  
18 else has any questions, we can set the date  
19 for the next meeting.

20 MR. CHAPLICK: If you look at that same  
21 figure, there are three surface water and  
22 sediment sampling locations along the creek  
23 that is indicated there.

24 MR. DUCHESNEAU: You want me to put that  
25 up, 12?



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CHAPLICK: Twelve A. I am not sure if that is Kenda (phonetic) Creek there.

MR. DUCHESNEAU: This is 12 A, correct? These black triangles here.

MR. CHAPLICK: Is that Kenda (phonetic) Creek that is flowing down?

MR. DUCHESNEAU: I think that is a drainage ditch.

MR. BATTAGLIA: Drainage from that area.

MR. CHAPLICK: That is actually flowing to the west.

MR. BATTAGLIA: Kenda (phonetic) is over here.

MR. DUCHESNEAU: We have sediment and surface water sampling planned at these three locations. Instead of being at that point, it could be over at that point. It is hard to get a surface water sample when there is no surface water. You try to plan for it and you go there and get the surface water you can get it. Obviously, you can get sediment. We sample what we can sample.

MR. BATTAGLIA: We all seem to think the 17th of August is a good day for the next TRC. I don't know if anybody has any

1 conflicts with that. It is usually far  
2 enough ahead.

3 MR. ABSOLOM: Is that agreeable to  
4 everyone? Seventeenth of August it shall be.  
5 Does anybody have anymore questions? If not,  
6 thank you all for coming. I think it was an  
7 informative meeting. I look forward to  
8 seeing you all on the 17th of August at  
9 twelve thirty.


10 \* \* \*

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T I O N

I, Patricia Ann Nelk, hereby certify that I reported in stenotype shorthand the proceedings had on the 18th day of May, 1994, in the matter of the TRC Meeting.

And that the foregoing transcript, herewith numbered pages 2 through 62, is a true, accurate and correct record of those stenotype shorthand notes.

  
Patricia Ann Nelk

DATED AT: Rochester, New York  
this 6th day of June, 1994.





