

Encls

Copies Furnished:

Legal Office, SEDA

Public Affairs Office, SEDA

Commander, U.S. Army Corps of Engineers, Huntsville Division, Attn: CEHND-PE-E
(Mr. K. Healy), P.O. Box 1600, Huntsville, AL 35807

Mr. Michael Duchesneau, P.E., Engineering Science, Inc., Prudential Center,
Boston, MA 02199

Commander, U.S. Army Depot Systems Command, Attn: AMSDS-IN-E (Mr. J.
Birnacki), Chambersburg, PA 17201-4170

TOAD