

1 STATE OF NEW YORK

COUNTY OF SENECA

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MEETING OF THE TECHNICAL REVIEW COMMITTEE

HELD AT: Seneca Army Depot
Romulus, New York

HELD ON: March 15, 1995

REPORTED BY: MARY GASEK

1 MR. STRUZIK: Good afternoon, ladies and
2 gentlemen. I'd like to welcome you to our March
3 Technical Review Committee meeting. On behalf of
4 both Lieutenant Colonel Roy Johnson and the Depot,
5 thank you for coming. My name is Tony Struzik. I
6 am the Chief of Installation Management Division.

7 Lieutenant Colonel Johnson is out of town on
8 business; as is Steve Absolom who normally attends
9 these meetings, and is the regular Chairman.

10 We welcome you here. I hope the meeting
11 will be fruitful. I ask you to please speak up so
12 that the recorder can hear the comments that are
13 being made. And if you are in the backdrop, away
14 from the table, if you ask a question, please
15 identify yourself clearly so the stenographer can
16 pick up your name and question.

17 With that, I'm going to ask the people at the
18 table to introducing themselves.

19 MR. HEALY: Kevin Healy. I am the lead
20 engineer for the Huntsville Division on all the
21 section RIF work.

22 MR. DUCHESNEAU: Mike Duchesneau. Project
23 manager in Parson Engineering Science.

24 MR. CHAPLICK: Jim Chaplick. Engineering

1 Manager for Parsons Engineering Science.

2 MS. FALLO: Janet Fallo. Engineer for Seneca
3 Army.

4 MR. STRUZIK: Tony Struzik, I. M. D.

5 MR. JOHNSON: Bruce Johnson. Civilian
6 Executive Assistant.

7 MR. GERAGHTY: Dan Geraghty. New York State
8 Department of Health.

9 MR. SCHANTZ: Program Manager New York
10 District Corp of Engineers.

11 MR. ENROTH: Tom Enroth. Environmental
12 Engineer, Seneca Army Depot.

13 MR. SCOTT: Robert Scott. New York State
14 Environmental Conservation Permit Administrator.

15 MR. DOMBROWSKI: Brian Dombrowski, Seneca
16 County Health Department.

17 MR. GUPTA: Kamal Gupta, project manager for
18 New York State Department of Environmental
19 Conservation.

20 MS. STRUBLE: Carla Struble, USEPA.

21 MR. NELSON: Bruce Nelson, Malcolm Pirnie.

22 MR. BATTAGLIA: Randy Battaglia, Seneca Army
23 Depot.

24 MR. COOL: Bill Cool, Town of Varick.

1 MR. STAFFORD: Ken Stafford, Supervisor Town
2 of Varick.

3 MR. BATTAGLIA: At this time we are going to
4 talk about the Restoration Advisory Board.
5 Janet Fallo.

6 MS. FALLO: Good afternoon. My name is Janet
7 Fallo. I am a chemical engineer. I work at the
8 Seneca Army Environment Office.

9 Today I'm going to give you an introduction
10 on expanding the Technical Review Committee to a
11 Restoration Advisory Board, also called RAB.

12 That -- the information that I'm going to
13 present to you is based upon Department of Defense
14 policies. And when a RAB is formed it will
15 replace the Technical Review Committee.

16 Right now we are going to take the first
17 steps to determine how much community interest
18 there is to start a RAB. If the base is going to
19 be closed, which we should know around July, then
20 starting a RAB will be mandatory.

21 I'm going to pass around some copies of my
22 handouts. There is not enough; if you could
23 share. If somebody would like some more after,
24 just talk to me after the meeting.

1 Now, I'm going to go over some changes that
2 will make the TRC -- how it will reach out to the
3 community and some responsibilities of the
4 Restoration Advisory Board.

5 We are going to expand the TRC by adding a
6 community co-chair, with making the agendas and
7 getting the community more involved.

8 We are going to recruit additional community
9 representatives to be a part of the Advisory,
10 Restoration Advisory Board. And publish the
11 meeting minutes as a concise summary so they are
12 easier to understand and mail those out to a
13 mailing list.

14 Some of the ways that we are going to try to
15 increase the community involvement are: We are
16 going to be mailing out surveys to poll the
17 interest. Interviewing community members, and
18 advertising notice in the local newspapers.

19 Some additional responsibilities of the
20 Restoration Advisory Board will be to review and
21 an evaluate documents to get the community more
22 involved earlier on in the process. Recommending
23 priorities among the sites or projects, and
24 conducting the meeting at convenient times and

1 locations.

2 The transition to Restoration Advisory Board
3 has been successful at other installations
4 including closure installations; as well as bases
5 that are remaining open where there is more
6 community interest.

7 If you would like to know the status of the
8 Restoration Advisory Board, you contact myself or
9 Jerry Whitaker, who is the Public Affairs Officer,
10 at the phone numbers right here.

11 And are there any questions?

12 MR. JOHNSON: Janet, just to clarify what you
13 mentioned to us yesterday, the RAB is mandatory if
14 we are officially on base closure?

15 MS. FALLO: Right. It's an option until then
16 so --

17 MR. JOHNSON: But until we find out for sure
18 that these are the directions we are going to be
19 going, we are going to be planning, we are going
20 to close. Official notification would be sometime
21 in mid-September. We have a pretty good
22 indication now, but mid-September would be the
23 actual official date.

24 MS. FALLO: Okay. That's it.

1 MR. DUCHESNEAU: I have got handouts,
2 presentations prepared here so you can follow
3 along.

4 My name is Mike Duchesneau. I am the Project
5 Manager of the Seneca Army project. I work for
6 Parson's Engineering Science. We work through the
7 Huntsville Division at Seneca. We have been
8 fairly active over the last few years at the Depot
9 in regards to the CERCLA work that's being
10 performed here. I'll be providing you today an
11 update on the status of a lot of these projects.

12 I see we have a few out of order here.

13 MR. COOL: That's all right. We never
14 understand it anyway.

15 MR. DUCHESNEAU: Bear with me.

16 MR. COOL: Just a joke.

17 MR. DUCHESNEAU: We are going to begin here
18 with a kind of layout of the organization here for
19 the projects that I'm involved in. Just a brief
20 description. Many of you have seen this before.

21 We have two regulatory -- three regulatory
22 bodies that are involved. In the EPA, which Carla
23 Struble is project manager. New York State
24 Department of Environmental Conservation,

1 otherwise known as NYSDEC, whom Kamal Gupta is the
2 Project Manager representing them.

3 The Department of Health is represented by
4 Dan Geraghty. And that provides, of course, the
5 regulatory review, people that review our
6 documents, provide us any input in terms of
7 workplans, and the direction of where we are
8 going.

9 Representing the Army, also providing
10 regulatory review, several agencies. I have
11 outlined the ones that have been most active. The
12 Army Environmental Center represented by Doctor
13 Kathleen Buchi. The AHA provides health risk
14 evaluation. That is Keith Hoddinott.

15 The Depot System Command, John Biernacki.
16 North Atlantic and New York District. Blair
17 Schantz represents the New York Division. Jack
18 Pickett represents the North Atlantic Division;
19 all provide us army comment.

20 And the last one, the Corps of Engineers, the
21 Omaha Division represented by Andrew Winslow who
22 are involved in the interim remediation that is
23 taking place at the ash landfill.

24 Myself, the Project Manager for Parsons. And

1 we have technical staff that provides us the
2 capability of performing all the RI/FS work that
3 includes unexploded ordinance support, laboratory
4 support, as well as drilling support.

5 What I'm discussing today is pretty much an
6 update on the areas of concern and CERCLA
7 practices that we are going through. Essentially
8 the four areas I would like to discuss today,
9 those being the SWMU investigation or
10 classification status, the RI/FS's work where --
11 what we have been very active on, and also a
12 portion of the federal facilities agreement
13 process called removal action or completion
14 report, to take some of these sites out of the
15 investigation loop.

16 The final thing will be a description of
17 interim remedial measures that are currently
18 ongoing at the ash landfill.

19 To begin the process of my presentation we
20 will be looking at the SWMU investigation or
21 classification status update. What I have done, I
22 have prepared a description or a flowchart
23 outlining what the requirements are in the Federal
24 Facilities Agreement. That agreement was signed

1 between the Army, the New York State Department of
2 Environmental Conservation and the EPA.

3 And there is basically three phases to this
4 process. There is a SWMU identification and
5 classification stage, which is pretty much
6 completed. Following that stage of work, a SWMU
7 is either identified as a no action SWMU or an
8 area of concern.

9 If it's an area of concern, there has to be a
10 reason why it's an area of concern. We want to
11 look at that a little bit further. Which moves to
12 the site investigation phase to answer a critical
13 question: Is there a threat? If a threat does
14 exist, then generally we will move into the RI/FS
15 phase for a lot more in depth and thorough
16 analysis. Which the end of which would be project
17 completion close out or a ROD.

18 In between the SWMU identification and
19 classification, we go through a process of
20 evaluating the site in terms of, can the site
21 threat be eliminated by performing a removal
22 action. Every site isn't totally contaminated.
23 There might be instances where the small expedite
24 removal action would be the best way of

1 eliminating the threat. And so the IAG accounts
2 for the possibility. The end of that process is
3 the completion report which would then be followed
4 by the completion report finalized in a ROD.

5 The ROD is an acronym for Record of
6 Decision, which is really all contracts between
7 EPA and the State and the Army in terms of
8 implementing some kind of remedial action.

9 The SWMU classification report all 72 SWMU's,
10 Solid Waste Management Unit, have been identified
11 and classified as either a no action or area of
12 concern.

13 That report was issued final in mid-September
14 and it is the first primary document identified in
15 the Federal Facilities Agreement. So, we are
16 pretty happy that we got at least that one
17 finalized and we are moving on.

18 The summary of that SWMU classification
19 report is, as I depicted here, we have 24 no
20 action SWMU's. We have 12 that we believe can be
21 evaluated, completion report prepared, and a ROD
22 prepared.

23 The removal action completion report/ROD
24 process, we believe, is appropriate for 8 SWMU's.

1 And there are 28 that are currently planning going
2 the RI/FS root.

3 We are getting at a critical point in time in
4 the process where we need to make some decisions
5 in terms of what sites and what criteria we apply
6 for determining how the sites are classified and
7 evaluated and move through this Federal Facilities
8 Agreement flowchart or process as I depicted
9 earlier.

10 I'm not going to give you a detailed
11 description of each of the SWMU's and mainly
12 because you probably can't read them. Here is a
13 listing of the SWMU's we believe no further action
14 is required. And they include scrap wood piles,
15 the sewage treatment plants, the waste oil
16 burners, the columbite ore storage pile; those
17 type of things.

18 The next group are AOC's. I believe we can
19 perform -- we performed investigations or have
20 some information we can evaluate. We will prepare
21 completion reports and RODs from that information
22 that will close out the sites.

23 The third group, of which there are 8, we
24 would be proposing to perform removal actions,

1 prepare completion reports, and finalize that with
2 RODs. And they include sites that are basically
3 impacted with petroleum products, volatiles, BTEX,
4 are benzene, toluene, ethylbenzene, xylene;
5 typically constituents of gasoline, as well as a
6 group that impacts from metals.

7 A tank farm is the site that comes to mind
8 right away, SEAD 50. That was a place where a lot
9 of metals or ores were stored back in the 60s and
10 70s. Some of that material has been discharged or
11 found it's way onto the ground surface.

12 So, we think that if we can go in there and
13 scrape of some of the soil and dispose of that
14 material properly, that we can close out those
15 sites.

16 AOC's we are planning on performing RI/FS and
17 eventual RODs, grouping them into what we call
18 operable units. So, we've grouped the ones that
19 are similar, have similar problems, similar types
20 of impacts so we can evaluate them at the same
21 time. And try to conserve our energies into not
22 having to do continual reports and feasibility
23 studies.

24 There are several here that come to mind. We

1 are actually involved in performing two of them.
2 The ash landfill which we are currently performing
3 a remedial action, expediting remedial action, and
4 IRM, interim remedial action. The open burning
5 ground, former open burning ground. We completed
6 the RI/FS.

7 We grouped the fire training areas, high
8 security area where mixed waste was held,
9 deactivation furnaces, out house facilities,
10 landfills, IRFNA, which is inhibited red nitric
11 acid areas, and the like.

12 We have been actively involved in
13 investigating seven, several high priority SWMU's
14 or real AOC's. We completed the field work in
15 February. The report has been issued to
16 EPA/NYSDEC in early July. Our recommendation and
17 the Army's recommendation are for performing RI/FS
18 at six of these and removal action and a
19 completion report process at the -- one of them
20 SEAD 24 which is the abandoned powder burning
21 pit.

22 We have received NYSDEC's comments and we are
23 currently awaiting EPA's comments. But I believe
24 those are in now.

1 MS. STRUBLE: Yes.

2 MR. DUCHESNEAU: The Army prioritized all
3 of the sites to try to provide the level of effort
4 required at the worst -- what we thought would be
5 the worst sites. So, I just described to you the
6 seven high priorities SWMU's or AOC's.

7 The three moderate priority, we have
8 completed site investigations at each of these
9 three. Our draft report was submitted in August.
10 We have received NYSDEC comments and we were
11 currently awaiting EPA comments on these. The
12 Army is recommending RI/FS at all three of these
13 sites.

14 What we call the 8 moderately low priority
15 AOC, we have completed the investigations at each
16 of these 8 sites. This was done in mid-July. The
17 pre-draft report has been submitted. The Army --
18 we have received Army comments. And we will
19 shortly be preparing our regulatory review what we
20 call the draft site investigation report for these
21 8 sites.

22 Our recommendations, at this point, or the
23 Army's recommendations at this point is three of
24 the sites are expected to go in RI/FS process.

1 Four -- five of these sites would go with
2 completion reports and RODs. And then one of the
3 sites would be a candidate for removal action and
4 a completion report, followed by a ROD.

5 Seven sites have been investigated that are
6 in the low priority category. The field work was
7 initiated in February. We have completed that
8 report. Again the pre-draft report has been
9 submitted for Army review. We have comments. We
10 have just received comments on it. The Army will
11 be revising that document and issuing it for
12 regulatory review.

13 The plan at this point is to perform RI/FS at
14 60, 63, 64, and 71 for a total of four. Then we
15 will do completion reports for 62 and 70, and a
16 removal action for 67, SWMU 67.

17 I know that doesn't really mean a lot to you.
18 Those are all sites that I showed you earlier that
19 have various types of activities performed on
20 them.

21 I would like to move into the status of RI/FS
22 that we have been actively involved in. Just to
23 give you an update on where we stand on some of
24 these investigations. And the first one that we

1 performed is the RI/FS at the OB, open burning
2 grounds. The remedial investigation has been
3 completed. It's submitted as final and accepted
4 by NYSDEC and EPA as a final document. That's
5 another primary document that has been accepted as
6 final. That included a risk analysis of both
7 human health and ecological risk.

8 The feasibility study has been completed. We
9 have received EPA and NYSDEC comments. And we are
10 currently involved in what we call the normal
11 consultation to try to resolve some differences of
12 opinion between the regulatory and the Army in
13 terms of what actions will be performed.

14 The second site that we have or operable
15 units that we have investigated is the ash
16 landfill which actually includes five sites.
17 RI/FS was submitted final in October. I believe
18 that is another final document that has been
19 submitted and finalized also included human health
20 and ecological risk assessment. Another primary
21 document that is complete, the feasibility study,
22 was submitted for regulatory comments. We have
23 received those comments and we are currently,
24 similar to the OB ground, in consultation of a

1 resolution to try to resolve some of the
2 differences in opinion in what -- terms of what
3 remedial actions will be performed at these
4 sites.

5 We are preparing or are preparing 28 RI/FS
6 workplans to evaluate many of the sites that I
7 have discussed with you previously.

8 Six workplans are complete. They include the
9 workplans for -- I'm sorry. Yes. Six are
10 complete and this included the workplans for the
11 OB Ground, and the five sites at the ash landfill.
12 We have implemented those as I've mentioned.

13 We identified, in this process, a real need
14 to try to extract out of the workplans and make
15 this -- make this process a little bit easier to
16 handle. So the plan that we came up with was to
17 extract information out of the workplans that are
18 generic to all of the sites; that includes along
19 the line of how we are going to install the wells;
20 how we are going to sample the wells; what kind of
21 landfill investigation techniques we are going to
22 be doing. Looking for those standards that don't
23 vary between site to site so much.

24 There is no reason to publish, each time

1 want to go do an investigation, a document about
2 three or four inches thick, when a lot of that
3 stuff is repeat information from one site to the
4 other.

5 So, the plan we came up with was to put a lot
6 of that standardized information into what we call
7 the generic workplan. That workplan would be a
8 stand-alone document, SOPs, recommending water
9 hydrology, a lot of that information. And it will
10 simply be referenced in the -- what the scoping
11 plan is.

12 So, the plan is when we go and investigate a
13 particular site, we want to only discuss, in the
14 workplan or scoping document, the specifics of
15 that site. That would be how many wells we were
16 proposing to install; how many soil borings we
17 would do; what kind of sampling would be specific
18 for that one site. And then simply reference the
19 generic workplan in terms of the specifics of how
20 we are going to do that. We are going to
21 construct the well in accordance with the generic
22 workplan information.

23 So, we think that's going to be a real
24 benefit to have the documents evaluated or

1 reviewed by the agencies and get this process
2 going a little quicker.

3 We have prepared, or are in the process of I
4 should say, preparing workplans for SEAD sites 11,
5 16, 17, 25, 26, 45, 46, 66.

6 11 is the construction debris landfill. 16
7 and 17 are operable units, I believe, two or three
8 which is the deactivation furnaces. 25 and 26 are
9 the fire demonstration areas. 45 is the OD
10 Ground. 46 is a small arms range; former small
11 arms range. 66 is and old pesticide storage
12 facility.

13 We are also in the process of preparing
14 workplans for 14 of them. They are various SWMU's
15 here. To do our RI/FS at those 14 sites, when all
16 this is said and done, very normally we have
17 workplans prepared and reviewed by the agencies to
18 perform 28 RI/FS programs.

19 Just a brief discussion on the status of the
20 completion report or removal actions. As I
21 mentioned, it's an integral part of the process to
22 try to eliminate sites that really aren't too bad
23 that be eliminated without going into the RI/FS
24 process.

1 We are planning to perform that activity at
2 basically two groups of sites. One -- one site
3 has been impacted with petroleum hydrocarbons, as
4 I mentioned. That would be for SWMUs 25, 38, 39,
5 40 and 41. 25 is the fire demonstration pad. 38,
6 39, 40 and 41 were areas where underground storage
7 tanks existed and there was, there was some small
8 release to the perimeter around those tanks. The
9 plan is excavate that material and to, you know,
10 have it treated at the ash landfill that is
11 currently ongoing with a treatment process that
12 would be ideal for remediation of that type of
13 soil.

14 In addition, we are planning on preparing a
15 decision document removal action or a decision
16 document for a removal action at SWMU 24, 50, 54
17 and 67. That is primarily impacted with metals.
18 And so, we are in the process of figuring out how
19 we want to excavate the material and dispose of it
20 properly off site.

21 The final subject that I mentioned to you
22 today is the status of interim remedial measures
23 that's being performed at the ash landfill. This
24 involves excavating soil that has been impacted

1 with chlorinated organics.

2 The ash landfill involves excavation with low
3 temperature thermal desorption, volatized
4 chlorinated organics through an afterburner,
5 discharge of clean air through a stack and then
6 the clean soil would then be placed back in the
7 excavated pit. The object is to obviously remove
8 the threat to eliminate the source of ground water
9 plume and to streamline or expedite the RI/FS
10 process.

11 Our treatment goals here are to establish
12 TAGM/NYSDEC values. TAGM is Technical
13 Administration Guidance Memorandum. And those
14 numbers are specific for soil impacted with TCE
15 and DCE development.

16 TCE is trichloroethylene and DCE is
17 dichloroethylene which are chlorinated organics
18 used as solvents. We estimate approximately
19 23,000 cubic yards, or 35,000 tons, would be need
20 to be processed.

21 As I mentioned, that process that is selected
22 is low temperature thermal desorption. Remedial
23 activities are currently ongoing.

24 Now, that's about all I have to say. Any

1 besides a few other sites -- I only have one chart
2 here. I'm going to start at the bottom. It's
3 hard to see, isn't it?

4 We had -- when we were looking at some of the
5 other sites on the Depot, some of these are good
6 candidates to do a removal action. Primarily SEAD
7 25 which is a fire demonstration pad had petroleum
8 products in the ground, but it was not in the
9 ground water.

10 SEAD numbers 38, 39, 40 and 41 are boiler
11 houses, and at those sampling they also got some
12 petroleum products in the ground. To do a
13 full-blown investigation on each site cost about
14 two million dollars.

15 We talked to EPA and the State about it. We
16 have this thermo treatment out at the ash
17 landfill. And said why not just dig these up and
18 treat the soil? We have been proceeding with the
19 decision documents that Mike had talked about.
20 And there will be public notice and comment period
21 on those decision documents. We go through a
22 thirty-day public comment period on them.

23 Our chances are, when this project is
24 completed at the landfill site, to go ahead and

1 subcontractor going bankrupt. And regardless of
2 what -- whether the bonding company pays or not,
3 the way the contract is set up, that certain
4 people, if they get laid off or not, still have to
5 get paid. And the army will pay those people.
6 Some of them, many of them, were hired by IT
7 Corporation to finish the job because they already
8 knew how to run the equipment.

9 That job has progressed. It's been 80
10 percent complete right now as far as clean up
11 whole area out that there. Okay.

12 MS. HERMAN: So, they are continuing on.

13 MR. BATTAGLIA: Yes. Yes. I don't know.
14 I think the people have already been paid right
15 now as far as what FERtech owed them for wages.
16 They still have to get -- work it out with the
17 bonding company and Army who gets paid what as far
18 as the legal aspect of that goes. But people got
19 paid and IT Corporation took over the equipment
20 and they are going to finish the job. I was going
21 to talk about that one last. That's already taken
22 care of now.

23 Part, as related to the project out
24 there, we had found -- Mike had mentioned --

1 questions?

2 MS. HERMAN: My name is Ann Herman. I'm a
3 member of the community. There has been a report
4 that the subcontractor on this last project went
5 broke and the employees we were no longer working
6 there. Do you know anything about that.

7 MR. DUCHESNEAU: Actually, I think Randy is
8 the best guy to discuss that.

9 MR. BATTAGLIA: Yes. We do -- you guys can
10 correct me if I am wrong -- I have one guy, Doug
11 Wehner, from the Omaha district IT Corporation
12 over here who is running the project at the
13 landfill.

14 Generally, what happens is FERtech, that runs
15 the actual equipment, is the subcontractor. They
16 went bankrupt. And what happens is that IT
17 Corporation had become bonded for the project.
18 What that basically means, as far as I understand,
19 is insurance in case something like that happened.
20 With that, arrangements are they are still able to
21 operate the equipment.

22 Also what happens, as far as the bonding
23 company goes, is suppose to pay employees and
24 other costs that are associated with that

1 start treating those others areas. We avoid
2 spending a lot of extra money in studying these
3 areas. We still have to do some confirmatory
4 sampling so that we got all that contamination, if
5 it was going to be completed, done based on that.

6 But that's part of the process that Mike had
7 talked about; the decision documents, public
8 comment period, and close out reports that he had
9 talked about.

10 What I have here also related to what Janet
11 had talked about with respect to priorities. This
12 is the Army's prioritized list of what work we are
13 going to be doing in future. In particular, one
14 of the things this remedial action board is going
15 to participate in is setting those priorities.
16 Previously we had the Army normally prioritized
17 the project themselves. And then we consulted
18 with the State and EPA as far as whether they
19 liked those priorities.

20 The RAB is designed so the community can also
21 participate in those priorities. Basically, we do
22 worse case as far as what we look at first,
23 whatever, based upon historical information that
24 we have about the site. We will do what looks

1 like it might be contaminated first.

2 These 11 projects on the -- I don't know if
3 that's in focus -- these top 11 projects are
4 remedial investigation feasibility studies. I
5 would just like to talk -- the first two we have
6 already been through; the ash landfill, OB
7 Grounds.

8 The first group we have grouped in four
9 groups. And that's what Mike had been talking
10 about doing. This actual plan which is a plan of
11 what we are going to go about doing for those
12 remedial investigation feasibility studies.
13 Another thing we had done with this list, that we
14 had that was different then previously, is when we
15 went out and studied the sites around Depot. We
16 got information back from those that make a
17 judgment on whether or not we are going to need a
18 full-blown investigation after that, or if it
19 looks like it's not going to be contaminated.
20 That also has to get approved through public
21 comments, and also the State and EPA that those
22 sites are not contaminated; that they are clean.

23 Some of sites are already in a categories "no
24 further action." We know just by historic

1 operation there really wasn't any reason to
2 investigate it further.

3 We also created another category "Multiple
4 Sites ROD." With risk evaluation we found a
5 little contamination when we first looked at the
6 sites, but looks like they are all right now; not
7 a risk of health human health and environment.

8 We are going to evaluate that risk prior to
9 providing the two remediation -- full-blown
10 remediation investigation and feasibility studies.

11 We also regrouped a number of the sites as
12 far as to save money on what -- what you have to
13 look at; how you go about looking at it. A
14 process is set up for several particular sites to
15 have RI/FS. Because some of the sites had similar
16 operations, we grouped them together just do one
17 RI/FS instead of two because of similar
18 operations. But you can break it up and look at
19 the separate sites.

20 We also created a project, which we are not
21 sure right now if we are going to get
22 accomplished. We have proceeded in the Decision
23 Document for a number of SWMU's that had metals in
24 soils. They are also small sites that we could

1 have the same cost to do the cleaning up as it
2 would be to go and study about cleaning up. The
3 plan was to identify a project for that.

4 And it's very preliminary right now. I think
5 the EPA and the State haven't even looked at the
6 site investigation yet as far as approving whether
7 or not we do those.

8 To get back to the restoration advisory
9 board. This is supposed to help the participation
10 in the community and evaluating and advertising on
11 how we do things around here. In looking at this,
12 in the past, I think it's an improvement on the
13 TRC as far as we have been reporting what we have
14 been doing. It's not necessarily -- well, a
15 participant in those valuations, those
16 priorities.

17 That's about all I really had to say about
18 the priorities. I don't know if -- there is a lot
19 of numbers. I think I'll go through the
20 particular sites and how we have grouped them.

21 The ash landfill, OB grounds, we have already
22 been proceeding with the RI/FS. The next group is
23 the fire training areas, radiation sites,
24 deactivation furnaces, and old munition wash out

1 facility where they used to wash out the
2 propellants, wash the TNT out of the rockets.

3 The next one is a number of landfills we
4 have on Depot. It is pretty common. They build a
5 building, they landfill the dirt on Depot. We
6 don't know what they had in the landfill there.

7 We also have a few garbage disposal areas.
8 IRFNA disposal, which is a nitric acid. Which, I
9 think, is back in the fifties we had a poured into
10 the lime stone pits and that's just another one.

11 And SEAD 52 and 60 which is a group of
12 buildings that they took munitions apart at and we
13 kind of just grouped them all together because
14 geographically we looked -- we are going to look
15 at the whole area.

16 Number is 10 a bunch of piles that's really a
17 number of SWMU's. And in their site
18 investigation, we found that they had buried a
19 couple of drums and paint and solvents at a few
20 disposal areas near where we had some sewage
21 sludge piles. That's down as a remediation
22 investigation feasibility study; also a candidate
23 in the near future as far as doing removal. If
24 you know now you have a couple of drums there, you

1 can start another project and remove them and
2 dispose of them off-site.

3 The eleventh one, the munition destruction
4 areas, which is the open detonation ground that
5 Mike had talked about. That area had been, it was
6 a training range and this was an explosive
7 ordinance disposal area where they do training for
8 blowing demil. And it's for the army bomb squad.
9 They actually did disposal out there. So we
10 grouped the detonation areas together.

11 In general, to look up the particulars of
12 each site, Mike's handout had names of what they
13 are. We've had hand outs before that discuss
14 the history of each site.

15 And I would like to keep it open for
16 questions and answers. If anybody has any
17 specific questions or needed specific information;
18 what sites are what and where they are.

19 MS. SWEET: My name is Mary Sweet from the
20 Seneca Lake Pure Waters Association. Do you have
21 any other statistics available on the 80 percent
22 completed clean up at the ash landfill site.

23 MR. BATTAGLIA: We have about, what 7,000
24 cubic yards of soil remaining out of the 20,000.

1 MR. COUTTS: Right. Right.

2 MR. BATTAGLIA: We have treated 18,000 cubic
3 yards; 7,000 cubic yards remain.

4 MS. SWEET: Is there any way to tell how much
5 has been cleaned out of that soil?

6 MR. BATTAGLIA: We do uniform testing on
7 each 150 tons.

8 MR. COUTTS: My name is Pete Coutts, the IT
9 Corporation Site Manager for the ash landfill.

10 We sample every 150 ton stock pile of
11 treatment of material for metals; sampling
12 solvents, and we haven't rejected one stock pile
13 yet. Everything is going well. Everything has
14 been backfilled in the excavation.

15 MR. HEALY: In specific response to the
16 lady's question, it has been cleaned up?

17 MR. COUTTS: Yes. It's been cleaned.
18 Removal action for volatiles, we have -- we have
19 eliminated all volatiles from all the treated
20 material. We have been sampling for metals in
21 addition to that to see if any cells were above
22 those characteristics for metals. We found no
23 metals above those characteristics. So all the
24 material treated to date has been cleared and

1 backfilled.

2 MR. BATTAGLIA: And I think it would be safe
3 to say all State standards and EPA standards have
4 been met. Let's put it that way.

5 MS. SWEET: Would there be information
6 forthcoming on when the project is completed as to
7 how much you removed?

8 MR. COUTTS: We have sent out a Mid-Project
9 Completion Report and it includes all analytical
10 data for the treated material up to, I think it
11 was November. Was December 22nd. Up through
12 December 22nd. All the soil has been treated.
13 All the analytical data has been submitted to all
14 the agencies.

15 We are still sampling material on a 150 ton
16 stock-pile-a-day basis. That material will be
17 submitted as a final report so that there will be
18 data submitted to the state and federal agencies
19 on our treatment.

20 MS. SWEET: That answers my question.

21 MS. SANGREE: My name is Lucinda Sangree,
22 S-A-N-G-R-E-E. My question is: Are those reports
23 available as part of public record that's in town
24 hall just like the minutes of this meeting? And

1 so is there someplace where they are located for
2 people to look at?

3 MR. BATTAGLIA: I haven't put them down
4 there yet. They are on my desk.

5 MR. STRUZIK: So the Mid-Project report, it
6 eventually will be in that repository?

7 MR. BATTAGLIA: Yes, it will.

8 MR. HEALY: Just in case it wasn't clear what
9 has been cleaned up; what Pete was telling you
10 about the soil source. Which means it's the soil
11 that's been cleaned up. The ground water is still
12 there as far as the contamination that is there.

13 MS. SANGREE: There is a plan for treating,
14 addressing that water?

15 MR. HEALY: We are in the process of doing
16 modeling studies as far as how bad the problem is
17 and as far as going to do -- if it's going to
18 naturally degradate or if it's going to need
19 special treatment. If it requires special
20 treatment, and the public insists, and EPA accepts
21 it, what we do, then we go ahead and do it.

22 MR. COUTTS: We are also treating ground
23 water as part of the removal action. We are
24 dewatering the excavation and currently we have

1 treated almost a half a million gallons of water.
2 So we are, on a continual basis, treating ground
3 water as part of the removal action.

4 MR. HEALY: There is some ground water
5 treatment going on independent to soil removal.
6 So it could be possible the largest part and the
7 worst contamination in the ground water is taken
8 care of. That -- that will have to be looked into
9 as far as the modeling studies are concerned
10 exactly how much and how bad it actually is,
11 what's happening.

12 MR. CHAPLICK: We continue to sample the
13 wells and the ground water every three months to
14 see if that's changed.

15 MS. SANGREE: Wells for the Depot --

16 MR. CHAPLICK: The team are sampling them
17 today. They do the sampling every three months.

18 MR. DUCHESNEAU: They look at the toe at the
19 ends of the plume. So if the plume begins to move
20 or do anything unexpected, we will be able to
21 identify that from happening and we can take
22 appropriate action.

23 MR. COOL: Is the water treated -- is it
24 treated by bringing it to a boil to boil off the

1 volatiles?

2 MR. HEALY: No. The -- it's treated by air
3 separation. It's more a standard technique for
4 treating volatiles in ground waters. You force
5 the water down, you force air up, and force the
6 volatiles to leave the water state into the air
7 state. Then the air is treated by carbon or some
8 other standard technology.

9 MR. BATTAGLIA: Then the water is further
10 treated with a filter before it's clean enough to
11 discharge onto the ground.

12 MR. HEALY: You have multiple treatments for
13 ground water. First you have the air separation.
14 Then you have got treatment with carbon. Then a
15 little polishing as well.

16 MR. BATTAGLIA: Out at the site, any snow or
17 rain water at the site, drains in, seeps in,
18 reaches the actual excavation hole which is ground
19 water. Rain water from rain gets pumped out in
20 what's called a Frac tank, 20,000 gallon tank. We
21 store it in there. Then we process it through.
22 We test it again after it's been processed before
23 we discharge it onto the ground. That's currently
24 --

1 MR. CHAPLICK: We have the discharge permit
2 from the State.

3 MS. HERMAN: When you talk about ground
4 removal, where does the ground end up?

5 MR. BATTAGLIA: We are excavating the soil.
6 All the source areas where the source
7 contamination, where the dirt could be clean. We
8 put that in a staging area prior to putting it
9 through the burning system. We put it through
10 this burning system. Then it's stock-piled in
11 another area that we built, contaminated area,
12 where we put plastic down and sand over it with a
13 berm around -- a little hill around to catch any
14 rain water. And we sample those little piles of
15 dirt; confirm that to be clean and free of
16 contamination. Then the dirt goes back to the
17 same hole that it came out of.

18 Right now we are backfilling in with treated
19 soil right out of the source area where we are.
20 We have a hole digging up contaminated area and
21 starting to backfill in.

22 MS. HERMAN: When you talked about various
23 number of sites, you were talking about removal.
24 Is that what's going to happen at all the sites?

1
2 MR. BATTAGLA. Yes. Those particular sites
3 will get the same dirt that came out of those
4 sites.

5 MR. HEALY: There may be
6 different forms of treatment. Usually each of
7 these you will see the same thing: Excavation,
8 soil treated, and either put it back if it's
9 possible, or remove it to a landfill and disposing
10 of it properly.

11 MS. HERMAN: Do you have landfills that are
12 targeted for this?

13 MR. HEALY: Don't know that. We haven't
14 gotten that far in the process. Since the
15 decision document's now being prepared, that's
16 something that has to be determined as part of the
17 decision document. I can't say right now.

18 MR. BATTAGLIA: That would be part of the
19 decision document.

20 MR. CHAPLICK: I think the intention of the
21 decision document is to try to get things moving a
22 little bit quickly, smaller sites. So not every
23 site will be addressed with a decision document.
24 Those are just more or less special cases; are for
small sites that have small problems.

1 MR. HEALY: We are talking about the removal
2 specifically and the decision document will lay
3 out the alternative as far as what's going to be
4 done with the soil. And there will be a point in
5 time where the specific landfills or choices of
6 landfills will be named. And those decision
7 documents have to undergo public review and
8 scrutiny prior to anything being done. So you
9 will get to see them.

10 MS. HERMAN: Where do you post the
11 announcement of the public meetings?

12 MR. BATTAGLIA: Usually put in the Finger
13 Lakes Times pub notice, in that section in the
14 Finger Lakes Times.

15 I think Jerry Whitaker also puts it on the
16 radio. To my knowledge I think he does.

17 MS. HERMAN: What radio?

18 MR. BATTAGLIA: I think it's WBGA.

19 MR. STRUZIK: WBGA, WNYR, WTFW.

20 MR. BATTAGLIA: I think it's in the notice
21 page, I think, for five days in the public notice
22 section of the paper.

23 If there aren't any more questions, or if
24 you need any questions answered, you can always

1 get a hold of me. If you stay after, I can give
2 you my number after.

3 I guess we can conclude at this time if there
4 is no more questions.

5 MR. WEHNER: My name is Doug Wehner I am the
6 Project Manager with IT Corporation. I just want
7 to clarify one statement you made with respect to
8 FERtech's bankruptcy.

9 We -- we have not paid the employees their
10 back wages that FERtech owed them. We are in the
11 process of working this out with the Department of
12 Labor, figuring the hours and amounts due. We
13 will be verifying that hopefully within the next
14 couple of weeks. We are working diligently on
15 that.

16 There are other companies that were owed
17 money through FERtech. We are working closely
18 with the bonding contract. We are working with
19 the bonding company to get those amounts, as it's
20 an ongoing process. It takes a little bit of time
21 to verify the costs involved. We are in the
22 process of doing that, and doing that as fast as
23 we can.

24 MR. BATTAGLIA: What about the date for the

1 next meeting? We usually set whatever date. Same
2 time second week of June. Second week of June
3 same time.

4 (Off the record.)

5 (Back on the record.)

6 MR. BATTAGLIA: July 12th then.

7 The next meeting a TRC or RAB?

8 MR. ENROTH: It will be a TRC.

9 * * * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

23


24

REPORTER'S CERTIFICATION

1
2
3 I, Mary Grasek, do hereby certify that I reported in
4 stenotype shorthand the Technical Review Committee held on
5 the 17th day of March, and;

6 That the transcript herewith numbered pages 1
7 through 41 is a true, accurate and correct transcript of
8 those stenotype shorthand notes.

9
10 DATED AT: Rochester, New York
11 this 2nd day of March, 1995.

12
13
14 
15
16
17
18
19
20
21
22
23
24



DEPARTMENT OF THE ARMY
SENECA ARMY DEPOT ACTIVITY
5786 STATE RTE 96
ROMULUS NEW YORK 14541-5001



REPLY TO
ATTENTION OF

SDSTO-SEI-PE

6 April 1995

MEMORANDUM FOR:

Ms. Carla Struble, P.E.
U.S. Environmental Protection Agency
Emergency & Remedial Response Division
290 Broadway, 18th Floor, E-3
New York, NY 10007-1866

Mr. Kamal Gupta
Project Manager, NYSDEC
Bureau of Eastern Remedial Action
Division of Hazardous Waste Remediation
50 Wolf Road
Albany, NY 12233-7010

SUBJECT: Quarterly Report

1. The emphasis of this quarterly report is on the events occurring between January 1, 1995 and March 31, 1995.

2. In accordance with paragraph 26.1 of the Interagency Agreement (IAG) between the Army, United States Environmental Protection Agency (EPA), and New York State Department of Environmental Conservation (NYSDEC), the following quarterly report is submitted.

a. **Minutes From Formal Meetings Held During the Reporting Period.**

On March 15, 1995, the tenth meeting of the Technical Review Committee (TRC) was held at the Seneca Army Depot NCO Club. The recorded proceedings from the tenth TRC are enclosed as Appendix 2. This TRC meeting was preceded by a quarterly meeting of the project managers. The minutes from the project managers meeting are included as Appendix 1.

b. **Milestones Met on Schedule, Explanation of Milestones Not Met on Schedule.**

(1) IAG Milestones:

(a) An update of Schedule 5.0 will be discussed at the next Project Managers meeting.

(2) Ash Landfill Milestones:

(a) The Draft Ash Landfill Feasibility Study (FS) is in consultation to resolve EPA (Kerr Laboratory) comments regarding ground water modeling and the Army's position that natural attenuation is occurring. A conference call was held on March 29, 1995 and the Army proposed to prepare a Work Plan to further characterize the site and determine whether or not natural attenuation is occurring.

(b) The Ash Landfill Removal Action is 70% complete with field work 85% complete. Some down time and lost production has occurred due to weather related problems and subcontractor

default. The following are totals up to March 31, 1995:

<u>Item</u>	<u>Quantity to Date</u>
Treated soil	21,293.7 tons
Soil Samples	208 (+41 QA)
Treated Water	470,536 gallons
Water Samples	26 (+3 QA)

(b) The First Quarter 1995 Groundwater Monitoring Report for the Ash Landfill is enclosed as Appendix 3.

(3) Open Burning Grounds Milestones:

(a) The Open Burning Grounds Draft FS is in consultation to resolve NYSDEC comments dated February 22, 1995 regarding RCRA closure as an ARAR. The Army is currently preparing a response.

(b) The First Quarter 1995 Groundwater Monitoring Report for the OB/OD Grounds is enclosed as Appendix 4.

(4) Solid Waste Management Unit Investigation Milestones:

(a) A Decision Document for no further action is being prepared for SWMU's 1, 2, 7, 10, 18, 19, 20, 21, 22, 29, 30, 31, 35, 36, 37, 42, 47, 49, 51, 53, 55, 61, 65, 72 based on the findings in the Final SWMU Classification Report.

(b) A Risk Assessment will be prepared for SWMU's 9, 27, 28, 32, 33, 34, 38, 39, 40, 41, 43, 44, 56, 58, 62, 64B, 64C, 66, 68, 69, 70. Depending on the outcome of the Risk Assessment, a no further action Decision Document may be prepared for those sites.

c. **Inspection Reports, Audits and Administrative Information.**

FY-95 Funding Status:

The latest FY 95 Work Plan was approved on December 14, 1994. A revised draft Work Plan for FY 95 was printed on March 23, 1995 and a final copy should be available soon.

d. **Permit Status as Applicable.**

There was no change in the Seneca Army Depot Activity RCRA facility permit status during this reporting period.

e. **Personnel Staffing Status**

(1) SEDA Staffing Update:

No changes have been made this quarter.

(2) Training/Conferences:

There were no training courses or conferences attended this quarter.


f. **Community Relations Activity Update**

(1) Administrative Record Milestones:

The Administrative Record index is in the process of being updated and will be submitted in the next quarterly report.

3. The point of contact for additional information is Janet Fallo or Thomas Enroth at 607/869-1450.

FOR THE COMMANDER:


Stephen M. Absolom
Chief, Public Works

Enclosures

Copies Furnished (w/o Appendices 3 and 4):

Legal Office, SEDA

Public Affairs Office, SEDA

Commander, U.S. Army Corps of Engineers, Huntsville Division, Attn: CEHND-PE-E
(Mr. K. Healy), P.O. Box 1600, Huntsville, AL 35807

Mr. Michael Duchesneau, P.E., Parsons Engineering Science, Inc., Prudential
Center, 101 Huntington Ave, Boston, MA 02199

Commander, U.S. Army Depot Systems Command, Attn: AMSDS-IN-E (Mr. B. Stayer),
Chambersburg, PA 17201-4170

Commander, Tobyhanna Army Depot, Environmental Division (Mr. J. Maciejewski),
11 Midway Road, Tobyhanna, PA 18466-5000

APPENDIX 1

**MINUTES FROM THE
PROJECT MANAGERS MEETING**

MINUTES OF PROJECT MANAGERS MEETING, 15 MARCH 95
SENECA ARMY DEPOT ACTIVITY

Attendees: Note- the attendance sheet that was circulated was not returned to the installation attendees, please refer to the TRC attendance sheet.

R. Battaglia: Presented a recap of the information discussed at the Army's Project Managers Meeting:

- + Seneca Army Depot Activity is on the BRAC 95 list proposed for closure.

- + A hazardous material storage enclave is to remain here. What this means at this time is uncertain.

- + Funding will be DERA for now, a BRAC funding account may not be set up until FY 97.

- + A fast-track cleanup time period of 6 years is proposed by Headquarters.

- + Seneca will proceed to change the TRC to a Rehabilitation Advisory Board (RAB). Janet Fallo will address the TRC on this issue at the meeting today.

- + With respect to the issue of industrial vs. residential use, Seneca will plan for both scenarios, and pick one when the issue is settled.

- + The Environmental Baseline Survey for BRAC installations will be centrally funded.

- + Funding based on relative risk may be implemented.

K. Gupta: Question on the risk based funding with respect to the information available on the OB/OD grounds and the ash landfill. Also how the risk based funding will fit into the 6 year fast-track plan for time, priorities, and funding.

R. Battaglia: At this time, just the raw data has been used to assess the risk level at the OB/OD and landfill. The EBS may help supply the information needed to avert an RI at each site.

M. Duchesneau: Questioned if the CRECLA documents would satisfy the requirements for BRAC documentation, such as doing 2 RI's per site, one to satisfy BRAC and one for IRP requirements.

K. Healy: Suggested if anyone has any questions on the melting of BRAC and CERCLA, now would be the time to express their concerns.

C. Struble: Asked if Tobyhanna Army Depot can do the same missions as Seneca.

R. Battaglia: Answered no.

D. Geraghty: Asked about the ammunition to be destroyed.

R. Battaglia: Account classification will show how they will be handled, for example, the 3.5" rockets (Korean war era anti-tank rockets) cannot be taken apart therefore need to be open detonated

once the motor section is removed.

D. Geraghty: Questioned the use of the open burning pads for open detonation.

R. Battaglia: Answered no, the pads will only be used for emergency situations for open burning, not detonation.

Return to the agenda.

M. Duchesneau: Discussed the decision tree for site evaluation when the "does a threat exist" question is reached. The NYSDEC TAGM's for soil are very conservative therefore the alternative is to look at risk assessment, many sites at this point in the decision tree.

K. Gupta: Advised Mr. Duchesneau to address these concerns in writing and send to DEC, EPA, and DOH.

K. Hoddinott: Asked EPA if EPA will be using the Monte Carlo method to rate risk.

C. Struble: EPA responded that she will need talk to EPA's toxicologist.

J. Chaplick: ES is at a point at this time that they need to make, at many sites, a decision as to the next step in the process. The EI database, not the RI data base will be used for risk assessment for human health. Ecological risk assessment gives qualitative, not quantitative numbers to use in choosing the decision. In addition, the SWMU's can be classified into the no action, the RI/FS, or into the "in limbo" as there needs to be the decision as to which way to go from here.

M. Duchesneau: At any site, either a no action or ROD will be made and question was asked about getting to a ROD by other than RI method.

K. Healy: Asked if an abbreviated risk assessment is possible. EPA, DEC, and DOH responded "no".

J. Chaplick: Asked about any formal consultation on the OB RI/FS.

C. Struble: Asked when the Army lawyers would be done looking at the information sent to them.

R. Battaglia: Mentioned that we are not talking yet with respect to the regulators and the Army together. He continued to discuss the RCRA vs. CERCLA issues on the OB/OD grounds as Mr. Gupta said that he had a closure document for the facility.

K. Healy: Discussed the FY95 RI's draft workplans, time to get these documents to the regulators, and turnaround for review/comment should be ASAP in order to get a scope done and awards made. He mentioned the generic plan that has information

common to all plans, the site specific plans for SEAD 16 and 17, and the scoping for SEAD 25 and 26.

A discussion followed on how many RI's will be done and the need to review and comment within the timeframe to keep things moving.

K. Healy: Discussed the IT Corporation modification to the contract for the proposed additional sites for cleanup (VOC's) and the metals removal contract that Baltimore will be working on with Engineering Science.

C. Struble: Questioned the process as there are no draft SI reports yet on some of these sites so how can we agree to do a removal action at sites with no information available.

M. Duchesneau: Mentioned that the VOC's removal included the blowdown pits and fire demonstration pad. In addition, the information on these sites is in the decision document for the proposed removal.

At this point it was noted that the meeting is running past the time allotted and we need to break for lunch prior to the TRC. The meeting was adjourned at 1147 hours.

